

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

FEDERAL ENERGY REGULATORY COMMISSION

Office of Energy Projects

- - - - - x

Lundy Project : Project No. P-1390

- - - - - x

Lee Vining Community Center  
296 Mattly Avenue  
Lee Vining, CA 93541  
Tuesday, May 14, 2024

A public scoping meeting was held, pursuant to notice.  
starting at 6:05 p.m.

1 P R O C E E D I N G S

2 MR. ANDERSON: All right, everybody, if you'll  
3 take your seats and we'll get going. Welcome everybody to  
4 the scoping meeting for the Lundy Lakes Hydroelectric  
5 Project. This is a meeting hosted by FERC. My name is  
6 Finlay Anderson. I'm a consultant helping Southern  
7 California Edison relicense the project. I'm just going to  
8 be a little bit of a microphone bunny this afternoon.

9 And the intent is to make sure that the court  
10 reporter and everybody else can hear you clearly. So, just  
11 a couple of housekeeping items, in the case of an emergency,  
12 just exit straight out the back. We'll rally at the end of  
13 the parking lot. There's an AED over here at the corner.  
14 Anybody know how to use it? Raise your hand. Bathrooms are  
15 just down the hallway. Please don't hesitate to take care  
16 of yourself. And beyond that, I'll just turn it over to  
17 Jess to kick us off.

18 MS. FEFER: Thank you. Oh, you're holding on to  
19 that. All right. Hi everyone. Is it on now? All right.  
20 There we go. All right. Hi everyone, my name is Jess  
21 Fefer. I am with the Federal Energy Regulatory Commission,  
22 FERC, as you probably all know it. I am the project  
23 coordinator for the Lundy Project and also I'm an  
24 environmental protection specialist.

25 And my specialties are outdoor recreation, land

1 use aesthetics and environmental justice. And there are two  
2 other FERC staff here with me today that I'd like to give  
3 the opportunity to introduce. So if you guys could just use  
4 your little live mics there and introduce yourself real  
5 quick, that would be awesome.

6 MS. KIPP: Is it on?

7 MS. FEFER: Maybe Finlay can. Yeah, there you  
8 go.

9 MR. ANDERSON: Let's try this. How about we try  
10 that.

11 MS. KIPP: Okay. Hi my name is Becky Kipp, and  
12 I am a wildlife biologist with FERC.

13 MR. SIDIBE: Hey, I'm Ousmane Sidibe, I go by  
14 Sid. I'm a civil engineer with FERC.

15 MS. FEFER: All right. Thank you so much. And  
16 then I was also going to have SE introduce. You want to  
17 introduce yourself real quick?

18 MR. WOODHALL: I'm Matthew Woodhall with  
19 Southern California Edison. I'm the project manager  
20 overseeing the relicensing.

21 MS. FEFER: Awesome. Thank you. All righty.  
22 So just a little bit of an agenda for what to expect today.  
23 I'll start with just a couple additional housekeeping items.  
24 I saw a lot of you signing in, but if you haven't signed in  
25 already, please make sure to do so. We just want to make

1 sure that we're capturing everybody here. And we also have  
2 Finlay with the microphone.

3           And when you have a comment or question, if you  
4 have a comment or question, if you could remember to state  
5 your name and your affiliation when you do that, also to  
6 help out our court reporter, that would be great. Just a  
7 bit more of an overview, I'm first going to just start by  
8 going over kind of the broad licensing process so you all  
9 sort of know where we are in the process and where we're  
10 going. And then SCE will jump in and share a little bit  
11 about their project proposal.

12           And then I will come back and we'll talk about  
13 some of the expected or potential resource issues that we  
14 highlighted in our Scoping Document One. And through that,  
15 there'll be opportunities for you all to speak up as well.  
16 I do want to note, even though you do make comments and you  
17 are stating your name and your affiliation, and we will have  
18 that on the record with the court reporter, if you have  
19 comments that you really want on the public record, please  
20 go and put that on the public record as well.

21           Even if you say it here, we want to hear it.  
22 Try not to talk with my hands today. We want to hear it  
23 twice. So I will give you directions for how to do that a  
24 little bit later in this presentation. I also have a  
25 handout over there that has a QR code that you can just use

1 the QR code and you get right to our website to make that  
2 easier for you all.

3 So just to dive right in to sort of the  
4 overview, as you know, probably, FERC is a Federal agency  
5 that regulates the interstate transmission of natural gas,  
6 oil and electricity, and additional responsibilities like  
7 licensing and inspecting non-federal hydropower dams. My  
8 colleagues here and I are in the division of hydropower  
9 licensing.

10 And so, you know, you really deal with us only  
11 during the licensing process. Our other colleagues in  
12 headquarters in DC, our division of hydropower  
13 administration and compliance and division of dam safety and  
14 inspections, and SCE gets to deal with them for the rest of  
15 the time when they're not in licensing. So now for the  
16 licensing process just kind of, this is just a bird's eye  
17 broad overview of sort of where we are in our licensing  
18 process and where we're going.

19 So SCE did file their pre-application document  
20 in the end of February. And we have already issued our  
21 scoping document. That's why you're all here. And we are  
22 here to scope. So that's sort of where we are in the  
23 process. The next step in the process is going to be  
24 studies. So putting together what's the information that  
25 we're seeking here?

1           So studies and consultation, and that takes, you  
2 know, two to three years and the public is very involved in  
3 that piece of the process as well. And then SCE will file  
4 their re-license application. Now I have the FERC reviews  
5 SCE application and project record in yellow, because that's  
6 where the timeline becomes a little bit more wonky. It's  
7 pretty tight until we get to that point.

8           And then it, you know, it will take FERC however  
9 long it takes, right? To review that because we need to  
10 make sure we have all the information we need. So sometimes  
11 there's some back and forth between FERC and SCE. And then  
12 we will issue our REA notice and begin our environmental  
13 analysis. And my next slide just sort of shows that  
14 throughout all of that you have opportunities to comment.

15           So I'm just going to lay that out here real  
16 quickly for you. So again, we are in this scoping phase.  
17 After this meeting, you'll have the opportunity to comment  
18 on the pad Scoping Document One and any study requests you  
19 have. And that's due June 24th. Technically it's due June  
20 22nd, but that's a weekend. So we put it to the following  
21 Monday.

22           And then FERC will issue a second scoping  
23 document as needed based on your comments. And then we'll  
24 get into the study planning process. So SCE will file a  
25 proposed study plan. You all will have opportunity to

1 comment on that and make study requests, and that will  
2 happen by November 4th. SCE will respond to those and file  
3 a revised study plan.

4           And you'll also have an opportunity to respond  
5 to that in mid-December of 2024. And then FERC will go  
6 ahead and issue the study plan determination, which really  
7 directs what those studies are going to look like. And that  
8 will happen in early January of 2025, right after the  
9 holiday season, you know. And then we're in the study  
10 seasons.

11           And so this takes some time, it takes about two  
12 years, right? But you will have chance again to comment  
13 during that time. So SCE when they're completing their  
14 studies they're required to submit an initial study report.  
15 You'll be able to comment on that. They'll then file a  
16 revised study report. You can comment on that. So all  
17 sorts of comment opportunities here. Again, when they file  
18 their preliminary proposal, you'll have another opportunity  
19 to comment.

20           And then I'd really just have this slide here,  
21 this is post filing where the dates are a little bit more  
22 wonky, but the soonest we will have our environmental  
23 analysis ready for review is April 29th. And this slide is  
24 really just to show you that you are going to continue to  
25 have opportunities to comment even after filing has

1 occurred. Okay. And, you know, all of that is in the  
2 scoping document.

3 I don't expect you to remember those dates.  
4 Those are in the scoping document. I also have a handout  
5 that at least outlines the upcoming comment dates for you  
6 all. So not all of them, but the ones that are upcoming.  
7 All right. So the purpose of scoping, you know, of course  
8 it is a regulation, it's part of NEPA. It's a legal  
9 requirement based on NEPA and FERC regulations and other  
10 applicable laws. But, you know, I think more importantly,  
11 it's a time for us to engage with the public and hear what  
12 you all think of potential issues or concerns that you have  
13 about the project.

14 So really what we're doing here is we're here to  
15 understand public perspectives and any concerns you have,  
16 identify potential resource issues, reasonable alternatives,  
17 identify available information relevant to the project and  
18 our environmental analysis, and to identify cumulatively  
19 affected resources. So that's what we're doing here today.  
20 So we hope that we can hear from some of you. So with that,  
21 I'm going to hand it over to SCE to talk about their  
22 proposal.

23 MS. WILLIAMS: Hi guys. My name is Audry  
24 Williams. I'm a archeologist for Southern California  
25 Edison. Before we get started today, we'd just like to take



1 a moment to acknowledge that the Lundy project, as well as  
2 where we are meeting right now, is the homeland of the  
3 Caseticate Paiute tribe that they have steward for  
4 generations. Thanks.

5 MR. WOODHALL: Thanks, Audry. Okay. Well first  
6 of all, just on behalf of Southern California Edison, I just  
7 want to thank everyone for being here tonight for this  
8 scoping and for FERC coming out to hold the meeting.  
9 Looking forward to talking a little bit about operations of  
10 the Lundy project. But before that, just wanted to give you  
11 a few names of the team members, most of which are in the  
12 room today. Although a couple, one of them is not.

13 But on the SCE side, I've already introduced  
14 myself, Matthew Woodhall. I am the project manager of the  
15 Lundy Relicensing. We also have Martin Ostendorf, who's in  
16 the back. You can just raise your hand when I call your  
17 name. Yeah. And you just met Audry Williams, cultural  
18 resources. Seth Carr, which I don't think he made it  
19 tonight, but he is the operations manager that runs the  
20 Lundy Project, runs all of our hydro operations here in the  
21 Mono Basin.

22 On the consulting team, you met Finlay, who's  
23 going to be running the microphone for us tonight. We also  
24 have Angela Whelpley, she's in the back there, Kelly Larimer  
25 over on the side. We've got Brad Blood and Allison. There

1 they are. Heather Neath doing our fish and aquatics, Lynn  
2 Johnson on the tribal over there. And I don't think Jay and  
3 Meta are here, but they're part of our cultural historic  
4 properties. And then we've got Edith, which there she is  
5 right there.

6           So there's actually more people behind even  
7 those individuals that are on the consulting team. But just  
8 wanted to give you the key players from the Edison side.  
9 Before we get into the describing and talking a little bit  
10 about operations, we've got a video that we want to play  
11 that will kind of give you a good visual before we actually  
12 start talking about the operations on the ground. And so  
13 we'll start with the video, and then we'll proceed from  
14 there. So let me see here.

15           [Video shown]

16           Hello and thank you for joining us on this video  
17 tour of Southern California Edison's Lundy Project.  
18 Southern California Edison owns and operates the Lundy  
19 Project in Mono County, California. This video will provide  
20 a brief overview of the project and its principle features.  
21 Lands in and around the project include a combination of  
22 federal and non-federal lands. The watershed has a total  
23 drainage area of approximately 135 square miles.

24           The Mono Basin and the Mill Creek watershed  
25 includes the crest of the Sierra Nevada, with maximum

1 elevations extending up to 12,400 feet to approximately  
2 6,400 feet at the shoreline of Mono Lake. The Lundy project  
3 originates in Lundy Canyon and flows directly into Mono Lake  
4 four miles downstream. The Lundy Project is authorized by a  
5 30 year license issued by the Federal Energy Regulatory  
6 Commission or FERC in 1999.

7           This authorization expires on February 28th,  
8 2029. The current FERC license contains measures to protect  
9 key resources, and these measures will be reevaluated as  
10 part of the process we are starting. The vicinity of the  
11 Lundy project was historically sculpted by glaciers, and is  
12 currently characterized by rounded granitic outcrops,  
13 U-shaped glacial valleys, glacial lakes, and tele slopes.

14           The stunning visual and natural features of the  
15 area lend themselves to recreational opportunities,  
16 including camping, hiking, and fishing. A campground is  
17 located below Lundy Lake. Lundy Lake and Mill Creek are  
18 stocked by California Department of Fish and Wildlife for  
19 fishing. There are trails and trail heads that are  
20 accessible from the Lundy project. Boating, sightseeing,  
21 and picnicking are also popular in this area.

22           Lundy Lake is the intake for Lundy Powerhouse.  
23 The lake has historically been drawn down in the winter to  
24 provide storage capacity for spring runoff. Water is  
25 conveyed from Lundy Lake to the powerhouse via the flow line

1 and penstock water is managed in the basin according to  
2 established water rights that have been adjudicated by the  
3 Superior Court of Mono County.

4           Spill and power generation are largely  
5 incidental to these water rights and secondarily by SCE's  
6 Power Sales Agreement with Los Angeles Department of Water  
7 and Power, which specifies annual drawdown requirements.  
8 SEC's FERC license requires that minimum flows be provided  
9 to stream reaches between the reservoir and the powerhouse.  
10 But these are also limited by preexisting water rights.  
11 Lundy Lake receives its water from Lundy Canyon, which has a  
12 drainage area of approximately 16 square miles.

13           The gravel at Rockville Dam measures  
14 approximately 690 feet long, with a structural height of 48  
15 feet from the base of the core wall to the top of wall. The  
16 dam impounds the 132 acre Lundy Lake, which has a net  
17 storage capacity of 4,113 acre feet. The spillway is a 150  
18 foot long by 7.7 foot deep notch in the concrete core wall.

19           An additional water release structure known as  
20 the Farmer's Gate operates when the lake level is above  
21 7,779 feet to provide additional flow to the base of Lundy  
22 Dam. Generally operation of the Farmer's Gate is possible  
23 during wetter spring periods or wet water years. On the  
24 west end of Lundy Lake, there is a two-lane bone launch  
25 available for recreationists. The site offers parking for

1 approximately five boats with trailers.

2 At Lundy Dam, there is a day use area with a  
3 gravel parking lot. This site offers a restroom facility  
4 along with access to local trails. Lundy Canyon Campground  
5 is located downstream approximately one mile northeast of  
6 the Lundy Lake Dam. The campground is operated under a  
7 lease from SCE to Mono County. The campground offers 37  
8 sites for recreationists, nine 10 sites and 28 sites that  
9 can fit a 35 foot recreational vehicle.

10 Sites offer a cleared area for camping, a picnic  
11 table, a parking area, and several sites offer a bear proof  
12 box for storage. There are four day use areas located east  
13 of Lundy Canyon Campground. These day use sites provide  
14 parking areas and picnic tables for recreationists to enjoy  
15 views of Mill Creek. Mill Creek flows into Mono Lake, below  
16 Lundy Lake downstream to the 7,200 foot contour. The creek  
17 is densely vegetated causing frequent log jams.

18 Wood and boulders are frequent. And channel bed  
19 material is a mix of gravel, cobbles and boulders with some  
20 sand. Below the 7,200 foot contour, the creek extends  
21 downstream for another 3.5 miles outside of the project  
22 boundary to Mono City, and is under laid by gravels and  
23 silts. After leaving Mono City, the creek is under lane by  
24 gravels and cobbles for the remaining 2.5 miles downstream  
25 where it flows into Mono Lake.

1           The Lundy Powerhouse is a reinforced concrete  
2 building constructed in 1911. It is located on the Wilson  
3 drainage east downstream of Lundy Lake. The building is 66  
4 feet long, 32 feet wide, 31 feet high, and has a  
5 substructure that is nine feet deep. The powerhouse  
6 contains two canyon turbines, each directly connected to an  
7 Allis Chalmers generator rated at 15,000 kilowatts.

8           Below the Lundy powerhouse water discharge from  
9 the powerhouse tail race is sent to a splitterbox, which  
10 directs flows either to the Wilson Drainage System, Wilson  
11 System, or returns water to Mill Creek via the Mill Creek  
12 return ditch. This return ditch shown here and the point at  
13 which it rejoins Mill Creek represents the end of the FERC  
14 project boundary.

15           The allocation of water between the Wilson  
16 System and Mill Creek is determined based on existing  
17 adjudicated water rights and flows through the powerhouse  
18 are set to ensure those water deliveries to water rights  
19 holders are met. Once water is returned to Mill Creek, it  
20 is outside the Lundy project boundary and continues towards  
21 Mono Lake.

22           Thank you for your time and interest in SEC's  
23 Lundy project. If you are interested in learning more about  
24 the project and the FERC relicensing process, please visit  
25 the project website at [www.ce.com/lundy](http://www.ce.com/lundy) for more

1 information.

2 MR. WOODHALL: Okay. Let's see if we can get  
3 this to advance here. Okay. So I think that video really  
4 gives a good snapshot of the project, but we do have a few  
5 slides to talk about, a little bit of additional information  
6 concerning the operation of the Lundy project. Some points  
7 of highlight. The 30 year license expires February 28th,  
8 2029.

9 The formal FERC process, as Jess alluded to  
10 earlier, began in February, 2024 when we filed our  
11 pre-application document and notice of intent. We will be  
12 filing a draft license application in the fall of 2026, and  
13 we're not anticipating any changes in operations or to the  
14 facilities. So the project itself is on the east slope of  
15 the Sierra Nevada Mountain Range within a very small portion  
16 of the Inyo National Forest.

17 It's in Mono County, and the private lands that  
18 are within the project are primarily held by SCE and the --  
19 the body of water that is dammed up by Lundy Dam creating  
20 Lundy Lake is Mill Creek. The main project facilities are  
21 the dam and the lake, which are just below the headwaters of  
22 Mill Creek. It's a 23 acre reservoir.

23 The Lundy powerhouse has a capacity of three  
24 megawatts. There's two units that are megawatt and a half  
25 each. Flow line in the penstock connecting the Lundy Lake

1 and the powerhouse. And then below the powerhouse, we have  
2 a facility called the splitterbox, which separates the water  
3 flows to manage the flows for the water right holders either  
4 going into the Wilson drainage or into the return ditch. We  
5 saw that in the video as well.

6           The operations, in terms of the water that we  
7 use to make power is driven by the adjudicated water rights.  
8 We pass that water through the powerhouse, and then we  
9 deliver the water in varying quantities to the water right  
10 holders via the return ditch, the Wilson system. And then  
11 there's an additional release point at the Upper Conway  
12 Ditch.

13           The Adair Ditch is also an old historic ditch  
14 that can provide some flows over to the Wilson system if the  
15 powerhouse is offline for operation purposes, maintenance or  
16 what have you, we can move water over to the Wilson system  
17 through the Adair Ditch. This is just a schematic just to  
18 put everything in one frame. In terms of all of those  
19 features that I just mentioned. The reservoir has several  
20 release points up at the dam where water can be released.

21           The Farmer's gate we saw in that video was  
22 actually releasing water. Water can also go over the  
23 spillway when the flows get high enough. And then  
24 downstream of that, we have a specified release point for  
25 the minimum in-stream flow. And then we also have an



1 additional release point that comes right off the penstock.

2 That's the rock drop valve where additional  
3 water can be released if necessary in small quantities. On  
4 the powerhouse side water goes directly down to the  
5 powerhouse. From there, there's actually two places that  
6 can go; directly out of the powerhouse, one to the  
7 splitterbox. The second one would be out to Matley Ranch  
8 through the Upper Conway Ditch.

9 And once the water gets to the splitterbox,  
10 there's two more directions that can go there. One would be  
11 over to the Wilson system, and the other would be through  
12 the return ditch that would take the water back to Mill  
13 Creek. And you can also see the depiction of the Adair  
14 Ditch, which does allow us to move that water over to Wilson  
15 if we're unable to put water through the powerhouse for any  
16 reason.

17 So the Mill Creek water rights were adjudicated  
18 in Mono County Superior Court long ago, back in November  
19 30th, 1914. These are longstanding water rights. SCE has a  
20 non-consumptive, right? So the water rights just to pass  
21 through for us for the purposes of hydro generation. This  
22 just gives you a snapshot of what those water rights look  
23 like. They are in priority order one through 11 and varying  
24 quantities.

25 And so oftentimes, depending on the quantity of

1 the water coming into the lake, we'll have water that needs  
2 to go to Mill Creek, water that needs to go to the Wilson  
3 system, all happening at the same time. But by using this  
4 priority table we're able to direct that water to the  
5 appropriate water right holders. And we have communication  
6 with the water right holders on an annual basis letting them  
7 know what the operations are looking like for a certain  
8 year.

9           And they have the opportunity to communicate  
10 with us if they have any particular needs or timing or  
11 issues that they're going to have in terms of receiving  
12 their water. Here's some of the milestones. I think we  
13 already saw some of those in Jess's table, but just to  
14 highlight them again, I won't go through them all, but as  
15 you can see there, it's a multi-step process and we've got a  
16 lot of work to do still ahead of us.

17           But we're looking forward to getting this thing  
18 kicked off and starting to gather that necessary information  
19 for the process. Any questions for me on the operations of  
20 the Lundy project? Pretty straightforward. Yeah. Tristan.  
21

22           MR. LEONG: Tristan, US Forest Service. Is  
23 there no synchronous bypass at the penstock? Or I'm sorry,  
24 at the Powerhouse? So if it goes offline, you were saying  
25 you had to use the Adair Ditch to return. So that means

1 Conway Ranch or the Conway Ditch does not get water in that  
2 scenario.

3 MR. WOODHALL: The Upper Conway Ditch cannot be  
4 utilized during those conditions.

5 MR. LEONG: Okay.

6 MR. WOODHALL: But the Upper Conway Ditch only  
7 has water in it periodically at the request of Mono County,  
8 which holds that water right. So we'll direct water in  
9 there at their request. If we are going to use the Adair  
10 ditch, it's something we communicate ahead of time so that  
11 Mono County would know that during that time period of  
12 powerhouse outage that the upper Conway will be unusable.  
13 So, yeah.

14 MR. ANDERSON: Questions?

15 MR. MEESE: Graham Meese, CDFW. I was  
16 wondering, it's just out of curiosity, when the footage that  
17 you showed in the video, if you know, like what year? What  
18 time of year, just like a lot of the shots of the creek  
19 looked great. I'm just curious --

20 MR. WOODHALL: What time of year did we shoot  
21 the video?

22 MR. MEESE: Correct.

23 MR. WOODHALL: It would've been spring. Yeah,  
24 right after we were able to access it. Spring time. Early  
25 spring.

1 MR. MEESE: Spring 2023?

2 MR. WOODHALL: Yeah. Early three. Yeah.

3 MR. MEESE: Thank you.

4 MR. WOODHALL: Okay. Any other questions?

5 That's it. All right. Back to you, Jess.

6 MS. FEFER: I think so. Let's see. Oh, it went  
7 back to the beginning. Okay. Sorry. Bear with me here.  
8 All right. Now that we've learned a little bit about the  
9 Lundy project, we are going to go into the preliminary  
10 resource issues that were identified in Scoping Document  
11 One. So really what I'm going to do right now is go through  
12 each resource and for each resource, if you have a comment  
13 or question about that resource, I will open it up after  
14 that resource.

15 So just keep your comments or questions now to  
16 the specific resource we're talking about, and then we'll  
17 have time to open it up to more general comments and  
18 questions after we've gone through all of that. So I will  
19 just go ahead and basically read the slide to you. Sorry.

20 But so geology and soils resources, what we  
21 found is potentially project impacts would be effects of  
22 continued project operation on shoreline erosion and  
23 sediment transport downstream of Mill Creek, potential  
24 effects of sediment movement from or within Deer Creek to  
25 the project shorelines and stream banks along Mill Creek and

1 effects of Hill slope erosion downstream of Lundy Lake and  
2 Deer Creek.

3           Would anybody like to add any potential effects  
4 for geology and soil resources? And I should say, if you  
5 think about it like later, you don't have to think about it  
6 right now, if it comes up later when we're in the discussion  
7 stages, that's fine as well. But figure, I'll open it up  
8 here as well. All right.

9           So water resources; effects of continued project  
10 operation on water quality in the project bypass reach and  
11 downstream of the powerhouse effects of continued project  
12 operation on water quality in Lundy Lake and effects of  
13 continued project operation on downstream water rights and  
14 users. Any additional water resource potential issues you'd  
15 like to bring up?

16           All righty. Aquatic; effects of continued  
17 project operation on fish habitat and fish resources in the  
18 project and impoundment bypass reach and downstream of the  
19 powerhouse, effects of fish entrainment at the Lundy  
20 powerhouse on fish resources in the project area. Effects  
21 of continued project operation on fish stranding, effects of  
22 project water diversion and instream flow on fish habitat in  
23 the project bypass reach and effects of continued project  
24 operation on aquatic invertebrate rates downstream of the Lundy  
25 Dam. Anybody like to add anything to aquatic?

1 MR. LEONG: I don't know if it's captured here,  
2 but where do you have amphibians? Is that --

3 MS. FEFER: Go ahead and ask that again. Sorry.

4

5 MR. LEONG: I'm sorry. This Tristan, US forest  
6 service. I don't know if within the project sphere, if  
7 there are amphibians that might be affected, is that  
8 captured in aquatics or some other section?

9 MS. FEFER: Would that be captured in?  
10 Terrestrial.

11 MR. LEONG: Terrestrial. Okay.

12 MS. FEFER: Except I'm about to go to that and  
13 we'll see if we have it there. So we'll add it there if we  
14 don't. So, effects of continued operation on maintenance on  
15 special status botanical resources, effects of the  
16 introduction and or spread of invasive plant populations  
17 potentially occurring due to maintenance activities.

18 Effects of continued operation and maintenance  
19 on special status wildlife species and effects of continued  
20 operation and maintenance on including vegetation management  
21 and herbicide use on native vegetation and wildlife, game  
22 species, and the special status species identified in SEC's  
23 pad including in near national forest species of  
24 conservation concern and nesting migratory bird species. So  
25 we will add invertebrates into --

1 MR. LEONG: Amphibians.

2 MS. FEFER: Sorry, amphibians into where they  
3 should.

4 MS. WASHINGTON: Fish are part of special status  
5 wildlife as we analyze them. Sorry --

6 MS. FEFER: Amphibians.

7 MR. LEONG: There you go.

8 MS. WASHINGTON: Not fish. There are part of  
9 special status wildlife.

10 MR. LEONG: Okay.

11 MS. WASHINGTON: We would include it there.

12 MR. LEONG: Okay.

13 MS. FEFER: Okay. So covered in terrestrial.

14 We'll get there eventually. All right. So and threatening  
15 and endangered species here. Effects of continued project  
16 operation and maintenance activities on species designated  
17 as federally threatened, endangered, proposed or candidates  
18 for listing and designated critical habitat, proposed and  
19 final under the Endangered Species Act.

20 I don't have all of those listed here, but they  
21 are in Scoping Document One. Recreation resources, we're  
22 going to look at effects of continued project operation and  
23 maintenance on recreation resources and adequacy of existing  
24 recreation facilities to meet current and future recreation  
25 demand. Anyone want to add anything to recreation?

1 MS. WASHINGTON: I have a question.

2 MS. FEFER: Sure.

3 MS. WASHINGTON: Jameisha Washington, US Forest  
4 service? Question would be, I mean are we talking about  
5 recreation both summer, spring and fall, winter?

6 MS. FEFER: Uh-huh.

7 MS. WASHINGTON: Okay.

8 MS. FEFER: Yeah. As long as long as we are,  
9 you know, we know during the scoping that there is  
10 recreation during all of those times and we would look at  
11 all of that recreation.

12 MS. WASHINGTON: We have heavy recreation used  
13 during winter.

14 MS. FEFER: That's great. We will definitely  
15 look at that then. All right. Land use and aesthetics.  
16 Effects of continued project operation and maintenance on  
17 land use. And effects of continued project operation and  
18 maintenance on the aesthetic quality of the project area.  
19 Cultural and tribal resources. So effects of continued  
20 project operation and maintenance on historic or  
21 archeological resources and traditional cultural properties  
22 that may be eligible for inclusion in the National Register  
23 of Historic Places or on other areas or places of  
24 religious, cultural and traditional importance to Indian  
25 tribes. Anything to add there? Oh, yeah.



1 MS. BOLTON: What about (Off mic -- Inaudible)

2 MS. FEFER: I'm going to have you repeat that  
3 question, sorry.

4 MS. BOLTON: So --

5 MR. ANDERSON: Identify your name and --

6 MS. BOLTON: And Lyn Bolton. Local resident.  
7 So what about adding tribal beneficial uses to that list of  
8 things to consider?

9 MS. FEFER: Yeah sure. We'll take that.

10 MS. BOLTON: That's a recent state water board  
11 thing.

12 MS. FEFER: Okay. Absolutely. Thank you.  
13 Okay. Socioeconomic; effects of continued project  
14 operations and flow diversions on agriculture and other  
15 consumptive uses in Mono city. Effects of any reduction in  
16 the amount of water available for irrigation on agricultural  
17 production and pasture land for livestock in Mono Lake  
18 watershed. Any additions there?

19 Okay. And lastly, environmental justice effects  
20 of project operation and maintenance on identified  
21 environmental justice communities. And I lied that wasn't  
22 lastly, we still have cumulative effects. So for cumulative  
23 effects, which just to remind everyone, you probably know  
24 what that is, but it's essentially the impact on the  
25 environment that results from incremental impact of actions

1 from past, present, or future that may not be super impact  
2 on their own, but when they're incremental they become these  
3 cumulative impacts and we have identified water and aquatic  
4 resources that could be cumulatively impacted by the  
5 continued operation and maintenance of the Lundy project.

6 Does anyone see any of the other resources we've  
7 talked about today as potentially cumulatively impacted?

8 Okay. Okay. So now I'm going to just switch gears a tiny  
9 bit for us to think again about your comment periods that I  
10 was talking about so much prior. So some of the information  
11 that really FERC is requesting from you because we want your  
12 help in learning about this project in this area. So  
13 Section Seven of the Scoping Document One includes a list  
14 of comprehensive plans on file with the commission that are  
15 relevant to the Lundy project.

16 And as part of scoping, we request that agencies  
17 and the public review the list and file any new updated  
18 plans that you might know about that might be helpful for us  
19 that we can add to the scoping document too. And we also  
20 ask that anyone who is not yet on the mailing list and would  
21 like to be added to the mailing list to make sure to go  
22 ahead and do that. And of course we want you to comment  
23 about any significant environmental issues that should be  
24 addressed in the EA. And here probably not super helpful  
25 to have the QR code on the presentation board for you.

1                   But just so you know, we have that and it's on  
2 the handout. And that will just take you right to FERC  
3 online and you can do everything there. You can leave  
4 comments, you can subscribe. If you want to know everything  
5 that's going on the public record for the Lundy project, you  
6 can subscribe to the Lundy project and have that sent to  
7 your email. And you can do that all by following the QR  
8 code that is on the table over there or the website that I  
9 have here.

10                   Just a reminder, comments are due for scoping  
11 June 24th. And then again the next comment periods, I'm  
12 just kind of reminding you for the study proposal. So  
13 November 4th will be another time that you can comment on  
14 there on their proposed study plan. And then SCE will  
15 submit a revised study plan based on your comments. So your  
16 comments are very important. And then you'll be able to  
17 comment on that again before we issue our study plan  
18 determination.

19                   So I sort of already went through that, but just  
20 wanted to make you aware since those there are upcoming this  
21 year. And again, for kind of things we're looking for. So  
22 especially in when we are commenting about these studies,  
23 right? The SCE may not be doing studies that you think need  
24 to be done or maybe they're not covering what you think  
25 needs to be covered. And so there's sort of a process that

1 we have for requesting studies.

2           And it's the same as commenting. You just go  
3 into e-Library and comment. However, we ask for kind of  
4 specific things if you're going to request a brand new  
5 study. So I'm just going to go ahead and kind of brush over  
6 these really quickly just so that in case you want to do  
7 that. You know, you just want to make sure to follow the  
8 requirements so that we can take it into account in the  
9 right way so that we have all in the information we need to  
10 do that.

11           So making sure that you're describing the goals  
12 and objectives of each study. If applicable, explain  
13 relevant resource management goals. If you're not a  
14 resource agency yourself, explain any relevant public  
15 interest considerations. Describe existing information  
16 concerning the subject of study and the need for additional  
17 information. Explain the nexus between product operations  
18 and effects on the resource to be studied.

19           And then really six and seven here are the ones  
20 that we find most often people miss. So just these are the  
21 ones, if you only take two things home today, number six and  
22 seven. Explain how any proposed study methodology is  
23 consistent with generally accepted practice in the  
24 scientific community. So if you have methods, let us know  
25 why we should use them. And then this one, most people

1 usually miss, describe considerations of level of effort and  
2 cost as applicable.

3 So just make sure to have all of those pieces in  
4 there and then we will have all the information that we need  
5 in order to work it into our analysis. So with that, that's  
6 really all I have for you. I have my information here if  
7 you want to reach out and I can open it up to questions for  
8 me or for SCE or just any comments about any resource issues  
9 that you think we didn't bring up here today. All right,  
10 I'm seeing none. Oh, yeah, we've got one.

11 MR. MEESE: Graham Meese, California Fish and  
12 Wildlife. I was wondering, I noticed on the FERC project  
13 boundary map that you showed the boundary cuts off at the  
14 Adair Ditch and the section of Mill Creek then from the  
15 Adera ditch to the return ditch is not included.

16 MS. FEFER: Okay.

17 MR. MEESE: Would be curious why that's not  
18 included.

19 MR. WOODHALL: So Adair Ditch is not in the FERC  
20 boundary. It's not part of our project. It's an old  
21 historic ditch that we utilize for the water right holders.  
22 It's basically a water right holder ditch. So it's not a  
23 project feature. We don't need it for our project  
24 operations, it's solely a project water right holder ditch.  
25 Does that make sense?

1 MR. MEESE: Sure. My question is really why  
2 there was a section of Mill Creek between, maybe it wasn't  
3 the Adair ditch then, between some -- yeah, if you could  
4 pull, maybe that'd be --

5 MS. FEFER: Yeah, I think it was in the other  
6 presentations of SCE. So let's see. Why is this so  
7 difficult today?

8 MR. ANDERSON: Name (Off mic -- Inaudible)  
9 talking about Graham?

10 MS. FEFER: You had it up here?

11 MR. MEESE: Yeah, I think it might be the one  
12 below, maybe it was in the conceptual diagram.

13 MS. FEFER: Oh, maybe it was in the video. It  
14 might've been in the video.

15 MR. MEESE: In the video. I think it's the one  
16 right above the --

17 MR. ANDERSON: Right there.

18 MS. FEFER: Oh, there we go.

19 MR. MEESE: There we go.

20 MS. FEFER: It's just part of it. Okay. There  
21 we go. We found it.

22 MR. MEESE: Yeah, so you can see like Mill Creek  
23 goes down and then there's something that peels off towards  
24 the penstock line, but then there's a section of Mill Creek  
25 above the return ditch that is not included in the project

1 reach where and I'm just curious why that is. If you could  
2 explain that. Seems like Mill Creek is not in the project  
3 boundary.

4 MR. ANDERSON: Yeah, if I could speak to this.

5 MR. MEESE: Sure.

6 MR. ANDERSON: I believe this is a --

7 MR. MEESE: A campground.

8 MR. ANDERSON: -- these are include because  
9 they're part of the campground. So these are part of the  
10 Exhibit R's. And then this is included because it's access  
11 road to the penstock. So this is not the Adair ditch. This  
12 is not part of the project boundary because it's not water  
13 conveyance for the project. So this water is not necessary  
14 for the operation of the project, so it's not included in  
15 the project boundary.

16 MR. MEESE: I see. Okay.

17 MR. ANDERSON: So these, what you're seeing here  
18 is basically project facilities, these are necessary for the  
19 operation of the project. It's access road and penstock,  
20 but also campgrounds and day use areas that are part of the  
21 Exhibit R.

22 MR. MEESE: I think there's confusion maybe that  
23 the red lines encompass the bypass reach, but just to  
24 confirm it's not. But once you end at Lundy Dam, the bypass  
25 reach below is not part.

1 MR. ANDERSON: Correct.

2 MR MESS: Right. Okay. That makes, well, yeah,  
3 thank you for clearing that up.

4 MR. ANDERSON: Yeah. Yeah, no problem. I just  
5 want to mention maybe just tomorrow is the site visit, I'm  
6 just curious, do you want to talk about that or?

7 MS. FEFER: Yeah, I mean, I was just going to  
8 mention it just to note that, you know, the site visit is  
9 happening at 8:30 and was just going to remind you all to  
10 come if you wanted to, but if you have anything else to say  
11 about it, that's really all I was going to say.

12 MR. ANDERSON: No. We'll just be convoying. So  
13 we'll condense into as few cars as we can. Wear, you know,  
14 sturdy shoes, be ready for whatever weather we might have.

15 MS. FEFER: Meet at Gus Hess Park. Is that  
16 right? That's Gus Hess? Yeah.

17 MR. ANDERSON: And hopefully, I think we're  
18 going to try to be done by 12 or 12:30. So it should, you  
19 know, it's a small project, so it shouldn't take that long,  
20 but, you know, but if people get involved in conversation,  
21 you never know.

22 MS. FEFER: That's true. All right. Well if  
23 there's no other questions, then we can, we can call it and  
24 hopefully see a lot of you tomorrow. All right. Thank you  
25 so much for being here. We appreciate it.



1 (Whereupon the above proceedings concluded at  
2 6:50 p.m.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding

4 before the FEDERAL ENERGY REGULATORY COMMISSION in the

5 Matter of:

6 Name of Proceeding:

7 Lundy Project

8

9

10

11

12

13

14

15 Project No.: P-1390

16 Place: Lee Vining, CA

17 Date: Tuesday, May 14, 2024

18 was held as herein appears, and that this is the original

19 transcript thereof for the file of the Federal Energy

20 Regulatory Commission, and is a full correct transcription

21 of the proceedings.

22

23

24 Bala Chandran

25 Official Reporter

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
FEDERAL ENERGY REGULATORY COMMISSION  
Office of Energy Projects

- - - - - x  
Lundy Project : Project No. P-1390  
- - - - - x

Lee Vining Community Center  
296 Mattly Avenue  
Lee Vining, CA 93541  
Tuesday, May 14, 2024

A public scoping meeting was held, pursuant to notice.  
starting at 6:05 p.m.

## 1 P R O C E E D I N G S

2 MR. ANDERSON: All right, everybody, if you'll  
3 take your seats and we'll get going. Welcome everybody to  
4 the scoping meeting for the Lundy Lakes Hydroelectric  
5 Project. This is a meeting hosted by FERC. My name is  
6 Finlay Anderson. I'm a consultant helping Southern  
7 California Edison relicense the project. I'm just going to  
8 be a little bit of a microphone bunny this afternoon.

9 And the intent is to make sure that the court  
10 reporter and everybody else can hear you clearly. So, just  
11 a couple of housekeeping items, in the case of an emergency,  
12 just exit straight out the back. We'll rally at the end of  
13 the parking lot. There's an AED over here at the corner.  
14 Anybody know how to use it? Raise your hand. Bathrooms are  
15 just down the hallway. Please don't hesitate to take care  
16 of yourself. And beyond that, I'll just turn it over to  
17 Jess to kick us off.

18 MS. FEFER: Thank you. Oh, you're holding on to  
19 that. All right. Hi everyone. Is it on now? All right.  
20 There we go. All right. Hi everyone, my name is Jess  
21 Fefer. I am with the Federal Energy Regulatory Commission,  
22 FERC, as you probably all know it. I am the project  
23 coordinator for the Lundy Project and also I'm an  
24 environmental protection specialist.

25 And my specialties are outdoor recreation, land

1 use aesthetics and environmental justice. And there are two  
2 other FERC staff here with me today that I'd like to give  
3 the opportunity to introduce. So if you guys could just use  
4 your little live mics there and introduce yourself real  
5 quick, that would be awesome.

6 MS. KIPP: Is it on?

7 MS. FEFER: Maybe Finlay can. Yeah, there you  
8 go.

9 MR. ANDERSON: Let's try this. How about we try  
10 that.

11 MS. KIPP: Okay. Hi my name is Becky Kipp, and  
12 I am a wildlife biologist with FERC.

13 MR. SIDIBE: Hey, I'm Ousmane Sidibe, I go by  
14 Sid. I'm a civil engineer with FERC.

15 MS. FEFER: All right. Thank you so much. And  
16 then I was also going to have SE introduce. You want to  
17 introduce yourself real quick?

18 MR. WOODHALL: I'm Matthew Woodhall with  
19 Southern California Edison. I'm the project manager  
20 overseeing the relicensing.

21 MS. FEFER: Awesome. Thank you. All righty.  
22 So just a little bit of an agenda for what to expect today.  
23 I'll start with just a couple additional housekeeping items.  
24 I saw a lot of you signing in, but if you haven't signed in  
25 already, please make sure to do so. We just want to make

1 sure that we're capturing everybody here. And we also have  
2 Finlay with the microphone.

3           And when you have a comment or question, if you  
4 have a comment or question, if you could remember to state  
5 your name and your affiliation when you do that, also to  
6 help out our court reporter, that would be great. Just a  
7 bit more of an overview, I'm first going to just start by  
8 going over kind of the broad licensing process so you all  
9 sort of know where we are in the process and where we're  
10 going. And then SCE will jump in and share a little bit  
11 about their project proposal.

12           And then I will come back and we'll talk about  
13 some of the expected or potential resource issues that we  
14 highlighted in our Scoping Document One. And through that,  
15 there'll be opportunities for you all to speak up as well.  
16 I do want to note, even though you do make comments and you  
17 are stating your name and your affiliation, and we will have  
18 that on the record with the court reporter, if you have  
19 comments that you really want on the public record, please  
20 go and put that on the public record as well.

21           Even if you say it here, we want to hear it.  
22 Try not to talk with my hands today. We want to hear it  
23 twice. So I will give you directions for how to do that a  
24 little bit later in this presentation. I also have a  
25 handout over there that has a QR code that you can just use

1 the QR code and you get right to our website to make that  
2 easier for you all.

3           So just to dive right in to sort of the  
4 overview, as you know, probably, FERC is a Federal agency  
5 that regulates the interstate transmission of natural gas,  
6 oil and electricity, and additional responsibilities like  
7 licensing and inspecting non-federal hydropower dams. My  
8 colleagues here and I are in the division of hydropower  
9 licensing.

10           And so, you know, you really deal with us only  
11 during the licensing process. Our other colleagues in  
12 headquarters in DC, our division of hydropower  
13 administration and compliance and division of dam safety and  
14 inspections, and SCE gets to deal with them for the rest of  
15 the time when they're not in licensing. So now for the  
16 licensing process just kind of, this is just a bird's eye  
17 broad overview of sort of where we are in our licensing  
18 process and where we're going.

19           So SCE did file their pre-application document  
20 in the end of February. And we have already issued our  
21 scoping document. That's why you're all here. And we are  
22 here to scope. So that's sort of where we are in the  
23 process. The next step in the process is going to be  
24 studies. So putting together what's the information that  
25 we're seeking here?

1                   So studies and consultation, and that takes, you  
2 know, two to three years and the public is very involved in  
3 that piece of the process as well. And then SCE will file  
4 their re-license application. Now I have the FERC reviews  
5 SCE application and project record in yellow, because that's  
6 where the timeline becomes a little bit more wonky. It's  
7 pretty tight until we get to that point.

8                   And then it, you know, it will take FERC however  
9 long it takes, right? To review that because we need to  
10 make sure we have all the information we need. So sometimes  
11 there's some back and forth between FERC and SCE. And then  
12 we will issue our REA notice and begin our environmental  
13 analysis. And my next slide just sort of shows that  
14 throughout all of that you have opportunities to comment.

15                   So I'm just going to lay that out here real  
16 quickly for you. So again, we are in this scoping phase.  
17 After this meeting, you'll have the opportunity to comment  
18 on the pad Scoping Document One and any study requests you  
19 have. And that's due June 24th. Technically it's due June  
20 22nd, but that's a weekend. So we put it to the following  
21 Monday.

22                   And then FERC will issue a second scoping  
23 document as needed based on your comments. And then we'll  
24 get into the study planning process. So SCE will file a  
25 proposed study plan. You all will have opportunity to



1 comment on that and make study requests, and that will  
2 happen by November 4th. SCE will respond to those and file  
3 a revised study plan.

4           And you'll also have an opportunity to respond  
5 to that in mid-December of 2024. And then FERC will go  
6 ahead and issue the study plan determination, which really  
7 directs what those studies are going to look like. And that  
8 will happen in early January of 2025, right after the  
9 holiday season, you know. And then we're in the study  
10 seasons.

11           And so this takes some time, it takes about two  
12 years, right? But you will have chance again to comment  
13 during that time. So SCE when they're completing their  
14 studies they're required to submit an initial study report.  
15 You'll be able to comment on that. They'll then file a  
16 revised study report. You can comment on that. So all  
17 sorts of comment opportunities here. Again, when they file  
18 their preliminary proposal, you'll have another opportunity  
19 to comment.

20           And then I'd really just have this slide here,  
21 this is post filing where the dates are a little bit more  
22 wonky, but the soonest we will have our environmental  
23 analysis ready for review is April 29th. And this slide is  
24 really just to show you that you are going to continue to  
25 have opportunities to comment even after filing has

1 occurred. Okay. And, you know, all of that is in the  
2 scoping document.

3 I don't expect you to remember those dates.  
4 Those are in the scoping document. I also have a handout  
5 that at least outlines the upcoming comment dates for you  
6 all. So not all of them, but the ones that are upcoming.  
7 All right. So the purpose of scoping, you know, of course  
8 it is a regulation, it's part of NEPA. It's a legal  
9 requirement based on NEPA and FERC regulations and other  
10 applicable laws. But, you know, I think more importantly,  
11 it's a time for us to engage with the public and hear what  
12 you all think of potential issues or concerns that you have  
13 about the project.

14 So really what we're doing here is we're here to  
15 understand public perspectives and any concerns you have,  
16 identify potential resource issues, reasonable alternatives,  
17 identify available information relevant to the project and  
18 our environmental analysis, and to identify cumulatively  
19 affected resources. So that's what we're doing here today.  
20 So we hope that we can hear from some of you. So with that,  
21 I'm going to hand it over to SCE to talk about their  
22 proposal.

23 MS. WILLIAMS: Hi guys. My name is Audry  
24 Williams. I'm a archeologist for Southern California  
25 Edison. Before we get started today, we'd just like to take

1 a moment to acknowledge that the Lundy project, as well as  
2 where we are meeting right now, is the homeland of the  
3 Caseticate Paiute tribe that they have steward for  
4 generations. Thanks.

5 MR. WOODHALL: Thanks, Audry. Okay. Well first  
6 of all, just on behalf of Southern California Edison, I just  
7 want to thank everyone for being here tonight for this  
8 scoping and for FERC coming out to hold the meeting.  
9 Looking forward to talking a little bit about operations of  
10 the Lundy project. But before that, just wanted to give you  
11 a few names of the team members, most of which are in the  
12 room today. Although a couple, one of them is not.

13 But on the SCE side, I've already introduced  
14 myself, Matthew Woodhall. I am the project manager of the  
15 Lundy Relicensing. We also have Martin Ostendorf, who's in  
16 the back. You can just raise your hand when I call your  
17 name. Yeah. And you just met Audry Williams, cultural  
18 resources. Seth Carr, which I don't think he made it  
19 tonight, but he is the operations manager that runs the  
20 Lundy Project, runs all of our hydro operations here in the  
21 Mono Basin.

22 On the consulting team, you met Finlay, who's  
23 going to be running the microphone for us tonight. We also  
24 have Angela Whelpley, she's in the back there, Kelly Larimer  
25 over on the side. We've got Brad Blood and Allison. There

1 they are. Heather Neath doing our fish and aquatics, Lynn  
2 Johnson on the tribal over there. And I don't think Jay and  
3 Meta are here, but they're part of our cultural historic  
4 properties. And then we've got Edith, which there she is  
5 right there.

6 So there's actually more people behind even  
7 those individuals that are on the consulting team. But just  
8 wanted to give you the key players from the Edison side.  
9 Before we get into the describing and talking a little bit  
10 about operations, we've got a video that we want to play  
11 that will kind of give you a good visual before we actually  
12 start talking about the operations on the ground. And so  
13 we'll start with the video, and then we'll proceed from  
14 there. So let me see here.

15 [Video shown]

16 Hello and thank you for joining us on this video  
17 tour of Southern California Edison's Lundy Project.  
18 Southern California Edison owns and operates the Lundy  
19 Project in Mono County, California. This video will provide  
20 a brief overview of the project and its principle features.  
21 Lands in and around the project include a combination of  
22 federal and non-federal lands. The watershed has a total  
23 drainage area of approximately 135 square miles.

24 The Mono Basin and the Mill Creek watershed  
25 includes the crest of the Sierra Nevada, with maximum

1 elevations extending up to 12,400 feet to approximately  
2 6,400 feet at the shoreline of Mono Lake. The Lundy project  
3 originates in Lundy Canyon and flows directly into Mono Lake  
4 four miles downstream. The Lundy Project is authorized by a  
5 30 year license issued by the Federal Energy Regulatory  
6 Commission or FERC in 1999.

7           This authorization expires on February 28th,  
8 2029. The current FERC license contains measures to protect  
9 key resources, and these measures will be reevaluated as  
10 part of the process we are starting. The vicinity of the  
11 Lundy project was historically sculpted by glaciers, and is  
12 currently characterized by rounded granitic outcrops,  
13 U-shaped glacial valleys, glacial lakes, and tele slopes.

14           The stunning visual and natural features of the  
15 area lend themselves to recreational opportunities,  
16 including camping, hiking, and fishing. A campground is  
17 located below Lundy Lake. Lundy Lake and Mill Creek are  
18 stocked by California Department of Fish and Wildlife for  
19 fishing. There are trails and trail heads that are  
20 accessible from the Lundy project. Boating, sightseeing,  
21 and picnicking are also popular in this area.

22           Lundy Lake is the intake for Lundy Powerhouse.  
23 The lake has historically been drawn down in the winter to  
24 provide storage capacity for spring runoff. Water is  
25 conveyed from Lundy Lake to the powerhouse via the flow line

1 and penstock water is managed in the basin according to  
2 established water rights that have been adjudicated by the  
3 Superior Court of Mono County.

4           Spill and power generation are largely  
5 incidental to these water rights and secondarily by SCE's  
6 Power Sales Agreement with Los Angeles Department of Water  
7 and Power, which specifies annual drawdown requirements.  
8 SEC's FERC license requires that minimum flows be provided  
9 to stream reaches between the reservoir and the powerhouse.  
10 But these are also limited by preexisting water rights.  
11 Lundy Lake receives its water from Lundy Canyon, which has a  
12 drainage area of approximately 16 square miles.

13           The gravel at Rockville Dam measures  
14 approximately 690 feet long, with a structural height of 48  
15 feet from the base of the core wall to the top of wall. The  
16 dam impounds the 132 acre Lundy Lake, which has a net  
17 storage capacity of 4,113 acre feet. The spillway is a 150  
18 foot long by 7.7 foot deep notch in the concrete core wall.

19           An additional water release structure known as  
20 the Farmer's Gate operates when the lake level is above  
21 7,779 feet to provide additional flow to the base of Lundy  
22 Dam. Generally operation of the Farmer's Gate is possible  
23 during wetter spring periods or wet water years. On the  
24 west end of Lundy Lake, there is a two-lane bone launch  
25 available for recreationists. The site offers parking for

1 approximately five boats with trailers.

2 At Lundy Dam, there is a day use area with a  
3 gravel parking lot. This site offers a restroom facility  
4 along with access to local trails. Lundy Canyon Campground  
5 is located downstream approximately one mile northeast of  
6 the Lundy Lake Dam. The campground is operated under a  
7 lease from SCE to Mono County. The campground offers 37  
8 sites for recreationists, nine 10 sites and 28 sites that  
9 can fit a 35 foot recreational vehicle.

10 Sites offer a cleared area for camping, a picnic  
11 table, a parking area, and several sites offer a bear proof  
12 box for storage. There are four day use areas located east  
13 of Lundy Canyon Campground. These day use sites provide  
14 parking areas and picnic tables for recreationists to enjoy  
15 views of Mill Creek. Mill Creek flows into Mono Lake, below  
16 Lundy Lake downstream to the 7,200 foot contour. The creek  
17 is densely vegetated causing frequent log jams.

18 Wood and boulders are frequent. And channel bed  
19 material is a mix of gravel, cobbles and boulders with some  
20 sand. Below the 7,200 foot contour, the creek extends  
21 downstream for another 3.5 miles outside of the project  
22 boundary to Mono City, and is under laid by gravels and  
23 silts. After leaving Mono City, the creek is under lane by  
24 gravels and cobbles for the remaining 2.5 miles downstream  
25 where it flows into Mono Lake.

1                   The Lundy Powerhouse is a reinforced concrete  
2 building constructed in 1911. It is located on the Wilson  
3 drainage east downstream of Lundy Lake. The building is 66  
4 feet long, 32 feet wide, 31 feet high, and has a  
5 substructure that is nine feet deep. The powerhouse  
6 contains two canyon turbines, each directly connected to an  
7 Allis Chalmers generator rated at 15,000 kilowatts.

8                   Below the Lundy powerhouse water discharge from  
9 the powerhouse tail race is sent to a splitterbox, which  
10 directs flows either to the Wilson Drainage System, Wilson  
11 System, or returns water to Mill Creek via the Mill Creek  
12 return ditch. This return ditch shown here and the point at  
13 which it rejoins Mill Creek represents the end of the FERC  
14 project boundary.

15                   The allocation of water between the Wilson  
16 System and Mill Creek is determined based on existing  
17 adjudicated water rights and flows through the powerhouse  
18 are set to ensure those water deliveries to water rights  
19 holders are met. Once water is returned to Mill Creek, it  
20 is outside the Lundy project boundary and continues towards  
21 Mono Lake.

22                   Thank you for your time and interest in SEC's  
23 Lundy project. If you are interested in learning more about  
24 the project and the FERC relicensing process, please visit  
25 the project website at [www.ce.com/lundy](http://www.ce.com/lundy) for more



1 information.

2 MR. WOODHALL: Okay. Let's see if we can get  
3 this to advance here. Okay. So I think that video really  
4 gives a good snapshot of the project, but we do have a few  
5 slides to talk about, a little bit of additional information  
6 concerning the operation of the Lundy project. Some points  
7 of highlight. The 30 year license expires February 28th,  
8 2029.

9 The formal FERC process, as Jess alluded to  
10 earlier, began in February, 2024 when we filed our  
11 pre-application document and notice of intent. We will be  
12 filing a draft license application in the fall of 2026, and  
13 we're not anticipating any changes in operations or to the  
14 facilities. So the project itself is on the east slope of  
15 the Sierra Nevada Mountain Range within a very small portion  
16 of the Inyo National Forest.

17 It's in Mono County, and the private lands that  
18 are within the project are primarily held by SCE and the --  
19 the body of water that is dammed up by Lundy Dam creating  
20 Lundy Lake is Mill Creek. The main project facilities are  
21 the dam and the lake, which are just below the headwaters of  
22 Mill Creek. It's a 23 acre reservoir.

23 The Lundy powerhouse has a capacity of three  
24 megawatts. There's two units that are megawatt and a half  
25 each. Flow line in the penstock connecting the Lundy Lake

1 and the powerhouse. And then below the powerhouse, we have  
2 a facility called the splitterbox, which separates the water  
3 flows to manage the flows for the water right holders either  
4 going into the Wilson drainage or into the return ditch. We  
5 saw that in the video as well.

6           The operations, in terms of the water that we  
7 use to make power is driven by the adjudicated water rights.  
8 We pass that water through the powerhouse, and then we  
9 deliver the water in varying quantities to the water right  
10 holders via the return ditch, the Wilson system. And then  
11 there's an additional release point at the Upper Conway  
12 Ditch.

13           The Adair Ditch is also an old historic ditch  
14 that can provide some flows over to the Wilson system if the  
15 powerhouse is offline for operation purposes, maintenance or  
16 what have you, we can move water over to the Wilson system  
17 through the Adair Ditch. This is just a schematic just to  
18 put everything in one frame. In terms of all of those  
19 features that I just mentioned. The reservoir has several  
20 release points up at the dam where water can be released.

21           The Farmer's gate we saw in that video was  
22 actually releasing water. Water can also go over the  
23 spillway when the flows get high enough. And then  
24 downstream of that, we have a specified release point for  
25 the minimum in-stream flow. And then we also have an

1 additional release point that comes right off the penstock.

2           That's the rock drop valve where additional  
3 water can be released if necessary in small quantities. On  
4 the powerhouse side water goes directly down to the  
5 powerhouse. From there, there's actually two places that  
6 can go; directly out of the powerhouse, one to the  
7 splitterbox. The second one would be out to Matley Ranch  
8 through the Upper Conway Ditch.

9           And once the water gets to the splitterbox,  
10 there's two more directions that can go there. One would be  
11 over to the Wilson system, and the other would be through  
12 the return ditch that would take the water back to Mill  
13 Creek. And you can also see the depiction of the Adair  
14 Ditch, which does allow us to move that water over to Wilson  
15 if we're unable to put water through the powerhouse for any  
16 reason.

17           So the Mill Creek water rights were adjudicated  
18 in Mono County Superior Court long ago, back in November  
19 30th, 1914. These are longstanding water rights. SCE has a  
20 non-consumptive, right? So the water rights just to pass  
21 through for us for the purposes of hydro generation. This  
22 just gives you a snapshot of what those water rights look  
23 like. They are in priority order one through 11 and varying  
24 quantities.

25           And so oftentimes, depending on the quantity of

1 the water coming into the lake, we'll have water that needs  
2 to go to Mill Creek, water that needs to go to the Wilson  
3 system, all happening at the same time. But by using this  
4 priority table we're able to direct that water to the  
5 appropriate water right holders. And we have communication  
6 with the water right holders on an annual basis letting them  
7 know what the operations are looking like for a certain  
8 year.

9                   And they have the opportunity to communicate  
10 with us if they have any particular needs or timing or  
11 issues that they're going to have in terms of receiving  
12 their water. Here's some of the milestones. I think we  
13 already saw some of those in Jess's table, but just to  
14 highlight them again, I won't go through them all, but as  
15 you can see there, it's a multi-step process and we've got a  
16 lot of work to do still ahead of us.

17                   But we're looking forward to getting this thing  
18 kicked off and starting to gather that necessary information  
19 for the process. Any questions for me on the operations of  
20 the Lundy project? Pretty straightforward. Yeah. Tristan.  
21

22                   MR. LEONG: Tristan, US Forest Service. Is  
23 there no synchronous bypass at the penstock? Or I'm sorry,  
24 at the Powerhouse? So if it goes offline, you were saying  
25 you had to use the Adair Ditch to return. So that means

1 Conway Ranch or the Conway Ditch does not get water in that  
2 scenario.

3 MR. WOODHALL: The Upper Conway Ditch cannot be  
4 utilized during those conditions.

5 MR. LEONG: Okay.

6 MR. WOODHALL: But the Upper Conway Ditch only  
7 has water in it periodically at the request of Mono County,  
8 which holds that water right. So we'll direct water in  
9 there at their request. If we are going to use the Adair  
10 ditch, it's something we communicate ahead of time so that  
11 Mono County would know that during that time period of  
12 powerhouse outage that the upper Conway will be unusable.  
13 So, yeah.

14 MR. ANDERSON: Questions?

15 MR. MEESE: Graham Meese, CDFW. I was  
16 wondering, it's just out of curiosity, when the footage that  
17 you showed in the video, if you know, like what year? What  
18 time of year, just like a lot of the shots of the creek  
19 looked great. I'm just curious --

20 MR. WOODHALL: What time of year did we shoot  
21 the video?

22 MR. MEESE: Correct.

23 MR. WOODHALL: It would've been spring. Yeah,  
24 right after we were able to access it. Spring time. Early  
25 spring.

1 MR. MEESE: Spring 2023?

2 MR. WOODHALL: Yeah. Early three. Yeah.

3 MR. MEESE: Thank you.

4 MR. WOODHALL: Okay. Any other questions?

5 That's it. All right. Back to you, Jess.

6 MS. FEFER: I think so. Let's see. Oh, it went  
7 back to the beginning. Okay. Sorry. Bear with me here.  
8 All right. Now that we've learned a little bit about the  
9 Lundy project, we are going to go into the preliminary  
10 resource issues that were identified in Scoping Document  
11 One. So really what I'm going to do right now is go through  
12 each resource and for each resource, if you have a comment  
13 or question about that resource, I will open it up after  
14 that resource.

15 So just keep your comments or questions now to  
16 the specific resource we're talking about, and then we'll  
17 have time to open it up to more general comments and  
18 questions after we've gone through all of that. So I will  
19 just go ahead and basically read the slide to you. Sorry.

20 But so geology and soils resources, what we  
21 found is potentially project impacts would be effects of  
22 continued project operation on shoreline erosion and  
23 sediment transport downstream of Mill Creek, potential  
24 effects of sediment movement from or within Deer Creek to  
25 the project shorelines and stream banks along Mill Creek and

1 effects of Hill slope erosion downstream of Lundy Lake and  
2 Deer Creek.

3           Would anybody like to add any potential effects  
4 for geology and soil resources? And I should say, if you  
5 think about it like later, you don't have to think about it  
6 right now, if it comes up later when we're in the discussion  
7 stages, that's fine as well. But figure, I'll open it up  
8 here as well. All right.

9           So water resources; effects of continued project  
10 operation on water quality in the project bypass reach and  
11 downstream of the powerhouse effects of continued project  
12 operation on water quality in Lundy Lake and effects of  
13 continued project operation on downstream water rights and  
14 users. Any additional water resource potential issues you'd  
15 like to bring up?

16           All righty. Aquatic; effects of continued  
17 project operation on fish habitat and fish resources in the  
18 project and impoundment bypass reach and downstream of the  
19 powerhouse, effects of fish entrainment at the Lundy  
20 powerhouse on fish resources in the project area. Effects  
21 of continued project operation on fish stranding, effects of  
22 project water diversion and instream flow on fish habitat in  
23 the project bypass reach and effects of continued project  
24 operation on aquatic invertebrate rates downstream of the Lundy  
25 Dam. Anybody like to add anything to aquatic?

1                   MR. LEONG: I don't know if it's captured here,  
2 but where do you have amphibians? Is that --

3                   MS. FEFER: Go ahead and ask that again. Sorry.

4

5                   MR. LEONG: I'm sorry. This Tristan, US forest  
6 service. I don't know if within the project sphere, if  
7 there are amphibians that might be affected, is that  
8 captured in aquatics or some other section?

9                   MS. FEFER: Would that be captured in?  
10 Terrestrial.

11                   MR. LEONG: Terrestrial. Okay.

12                   MS. FEFER: Except I'm about to go to that and  
13 we'll see if we have it there. So we'll add it there if we  
14 don't. So, effects of continued operation on maintenance on  
15 special status botanical resources, effects of the  
16 introduction and or spread of invasive plant populations  
17 potentially occurring due to maintenance activities.

18                   Effects of continued operation and maintenance  
19 on special status wildlife species and effects of continued  
20 operation and maintenance on including vegetation management  
21 and herbicide use on native vegetation and wildlife, game  
22 species, and the special status species identified in SEC's  
23 pad including in near national forest species of  
24 conservation concern and nesting migratory bird species. So  
25 we will add invertebrates into --



1 MR. LEONG: Amphibians.

2 MS. FEFER: Sorry, amphibians into where they  
3 should.

4 MS. WASHINGTON: Fish are part of special status  
5 wildlife as we analyze them. Sorry --

6 MS. FEFER: Amphibians.

7 MR. LEONG: There you go.

8 MS. WASHINGTON: Not fish. There are part of  
9 special status wildlife.

10 MR. LEONG: Okay.

11 MS. WASHINGTON: We would include it there.

12 MR. LEONG: Okay.

13 MS. FEFER: Okay. So covered in terrestrial.

14 We'll get there eventually. All right. So and threatening  
15 and endangered species here. Effects of continued project  
16 operation and maintenance activities on species designated  
17 as federally threatened, endangered, proposed or candidates  
18 for listing and designated critical habitat, proposed and  
19 final under the Endangered Species Act.

20 I don't have all of those listed here, but they  
21 are in Scoping Document One. Recreation resources, we're  
22 going to look at effects of continued project operation and  
23 maintenance on recreation resources and adequacy of existing  
24 recreation facilities to meet current and future recreation  
25 demand. Anyone want to add anything to recreation?

1 MS. WASHINGTON: I have a question.

2 MS. FEFER: Sure.

3 MS. WASHINGTON: Jameisha Washington, US Forest  
4 service? Question would be, I mean are we talking about  
5 recreation both summer, spring and fall, winter?

6 MS. FEFER: Uh-huh.

7 MS. WASHINGTON: Okay.

8 MS. FEFER: Yeah. As long as long as we are,  
9 you know, we know during the scoping that there is  
10 recreation during all of those times and we would look at  
11 all of that recreation.

12 MS. WASHINGTON: We have heavy recreation used  
13 during winter.

14 MS. FEFER: That's great. We will definitely  
15 look at that then. All right. Land use and aesthetics.  
16 Effects of continued project operation and maintenance on  
17 land use. And effects of continued project operation and  
18 maintenance on the aesthetic quality of the project area.  
19 Cultural and tribal resources. So effects of continued  
20 project operation and maintenance on historic or  
21 archeological resources and traditional cultural properties  
22 that may be eligible for inclusion in the National Register  
23 of Historic Places or on other areas or places of  
24 religious, cultural and traditional importance to Indian  
25 tribes. Anything to add there? Oh, yeah.

1 MS. BOLTON: What about (Off mic -- Inaudible)

2 MS. FEFER: I'm going to have you repeat that  
3 question, sorry.

4 MS. BOLTON: So --

5 MR. ANDERSON: Identify your name and --

6 MS. BOLTON: And Lyn Bolton. Local resident.  
7 So what about adding tribal beneficial uses to that list of  
8 things to consider?

9 MS. FEFER: Yeah sure. We'll take that.

10 MS. BOLTON: That's a recent state water board  
11 thing.

12 MS. FEFER: Okay. Absolutely. Thank you.  
13 Okay. Socioeconomic; effects of continued project  
14 operations and flow diversions on agriculture and other  
15 consumptive uses in Mono city. Effects of any reduction in  
16 the amount of water available for irrigation on agricultural  
17 production and pasture land for livestock in Mono Lake  
18 watershed. Any additions there?

19 Okay. And lastly, environmental justice effects  
20 of project operation and maintenance on identified  
21 environmental justice communities. And I lied that wasn't  
22 lastly, we still have cumulative effects. So for cumulative  
23 effects, which just to remind everyone, you probably know  
24 what that is, but it's essentially the impact on the  
25 environment that results from incremental impact of actions

1 from past, present, or future that may not be super impact  
2 on their own, but when they're incremental they become these  
3 cumulative impacts and we have identified water and aquatic  
4 resources that could be cumulatively impacted by the  
5 continued operation and maintenance of the Lundy project.

6 Does anyone see any of the other resources we've  
7 talked about today as potentially cumulatively impacted?  
8 Okay. Okay. So now I'm going to just switch gears a tiny  
9 bit for us to think again about your comment periods that I  
10 was talking about so much prior. So some of the information  
11 that really FERC is requesting from you because we want your  
12 help in learning about this project in this area. So  
13 Section Seven of the Scoping Document One includes a list  
14 of comprehensive plans on file with the commission that are  
15 relevant to the Lundy project.

16 And as part of scoping, we request that agencies  
17 and the public review the list and file any new updated  
18 plans that you might know about that might be helpful for us  
19 that we can add to the scoping document too. And we also  
20 ask that anyone who is not yet on the mailing list and would  
21 like to be added to the mailing list to make sure to go  
22 ahead and do that. And of course we want you to comment  
23 about any significant environmental issues that should be  
24 addressed in the EA. And here probably not super helpful  
25 to have the QR code on the presentation board for you.

1                   But just so you know, we have that and it's on  
2 the handout. And that will just take you right to FERC  
3 online and you can do everything there. You can leave  
4 comments, you can subscribe. If you want to know everything  
5 that's going on the public record for the Lundy project, you  
6 can subscribe to the Lundy project and have that sent to  
7 your email. And you can do that all by following the QR  
8 code that is on the table over there or the website that I  
9 have here.

10                   Just a reminder, comments are due for scoping  
11 June 24th. And then again the next comment periods, I'm  
12 just kind of reminding you for the study proposal. So  
13 November 4th will be another time that you can comment on  
14 there on their proposed study plan. And then SCE will  
15 submit a revised study plan based on your comments. So your  
16 comments are very important. And then you'll be able to  
17 comment on that again before we issue our study plan  
18 determination.

19                   So I sort of already went through that, but just  
20 wanted to make you aware since those there are upcoming this  
21 year. And again, for kind of things we're looking for. So  
22 especially in when we are commenting about these studies,  
23 right? The SCE may not be doing studies that you think need  
24 to be done or maybe they're not covering what you think  
25 needs to be covered. And so there's sort of a process that

1 we have for requesting studies.

2                   And it's the same as commenting. You just go  
3 into e-Library and comment. However, we ask for kind of  
4 specific things if you're going to request a brand new  
5 study. So I'm just going to go ahead and kind of brush over  
6 these really quickly just so that in case you want to do  
7 that. You know, you just want to make sure to follow the  
8 requirements so that we can take it into account in the  
9 right way so that we have all in the information we need to  
10 do that.

11                   So making sure that you're describing the goals  
12 and objectives of each study. If applicable, explain  
13 relevant resource management goals. If you're not a  
14 resource agency yourself, explain any relevant public  
15 interest considerations. Describe existing information  
16 concerning the subject of study and the need for additional  
17 information. Explain the nexus between product operations  
18 and effects on the resource to be studied.

19                   And then really six and seven here are the ones  
20 that we find most often people miss. So just these are the  
21 ones, if you only take two things home today, number six and  
22 seven. Explain how any proposed study methodology is  
23 consistent with generally accepted practice in the  
24 scientific community. So if you have methods, let us know  
25 why we should use them. And then this one, most people

1 usually miss, describe considerations of level of effort and  
2 cost as applicable.

3           So just make sure to have all of those pieces in  
4 there and then we will have all the information that we need  
5 in order to work it into our analysis. So with that, that's  
6 really all I have for you. I have my information here if  
7 you want to reach out and I can open it up to questions for  
8 me or for SCE or just any comments about any resource issues  
9 that you think we didn't bring up here today. All right,  
10 I'm seeing none. Oh, yeah, we've got one.

11           MR. MEESE: Graham Meese, California Fish and  
12 Wildlife. I was wondering, I noticed on the FERC project  
13 boundary map that you showed the boundary cuts off at the  
14 Adair Ditch and the section of Mill Creek then from the  
15 Adera ditch to the return ditch is not included.

16           MS. FEFER: Okay.

17           MR. MEESE: Would be curious why that's not  
18 included.

19           MR. WOODHALL: So Adair Ditch is not in the FERC  
20 boundary. It's not part of our project. It's an old  
21 historic ditch that we utilize for the water right holders.  
22 It's basically a water right holder ditch. So it's not a  
23 project feature. We don't need it for our project  
24 operations, it's solely a project water right holder ditch.  
25 Does that make sense?

1                   MR. MEESE: Sure. My question is really why  
2 there was a section of Mill Creek between, maybe it wasn't  
3 the Adair ditch then, between some -- yeah, if you could  
4 pull, maybe that'd be --

5                   MS. FEFER: Yeah, I think it was in the other  
6 presentations of SCE. So let's see. Why is this so  
7 difficult today?

8                   MR. ANDERSON: Name (Off mic -- Inaudible)  
9 talking about Graham?

10                  MS. FEFER: You had it up here?

11                  MR. MEESE: Yeah, I think it might be the one  
12 below, maybe it was in the conceptual diagram.

13                  MS. FEFER: Oh, maybe it was in the video. It  
14 might've been in the video.

15                  MR. MEESE: In the video. I think it's the one  
16 right above the --

17                  MR. ANDERSON: Right there.

18                  MS. FEFER: Oh, there we go.

19                  MR. MEESE: There we go.

20                  MS. FEFER: It's just part of it. Okay. There  
21 we go. We found it.

22                  MR. MEESE: Yeah, so you can see like Mill Creek  
23 goes down and then there's something that peels off towards  
24 the penstock line, but then there's a section of Mill Creek  
25 above the return ditch that is not included in the project



1 reach where and I'm just curious why that is. If you could  
2 explain that. Seems like Mill Creek is not in the project  
3 boundary.

4 MR. ANDERSON: Yeah, if I could speak to this.

5 MR. MEESE: Sure.

6 MR. ANDERSON: I believe this is a --

7 MR. MEESE: A campground.

8 MR. ANDERSON: -- these are include because  
9 they're part of the campground. So these are part of the  
10 Exhibit R's. And then this is included because it's access  
11 road to the penstock. So this is not the Adair ditch. This  
12 is not part of the project boundary because it's not water  
13 conveyance for the project. So this water is not necessary  
14 for the operation of the project, so it's not included in  
15 the project boundary.

16 MR. MEESE: I see. Okay.

17 MR. ANDERSON: So these, what you're seeing here  
18 is basically project facilities, these are necessary for the  
19 operation of the project. It's access road and penstock,  
20 but also campgrounds and day use areas that are part of the  
21 Exhibit R.

22 MR. MEESE: I think there's confusion maybe that  
23 the red lines encompass the bypass reach, but just to  
24 confirm it's not. But once you end at Lundy Dam, the bypass  
25 reach below is not part.

1 MR. ANDERSON: Correct.

2 MR MESS: Right. Okay. That makes, well, yeah,  
3 thank you for clearing that up.

4 MR. ANDERSON: Yeah. Yeah, no problem. I just  
5 want to mention maybe just tomorrow is the site visit, I'm  
6 just curious, do you want to talk about that or?

7 MS. FEFER: Yeah, I mean, I was just going to  
8 mention it just to note that, you know, the site visit is  
9 happening at 8:30 and was just going to remind you all to  
10 come if you wanted to, but if you have anything else to say  
11 about it, that's really all I was going to say.

12 MR. ANDERSON: No. We'll just be convoying. So  
13 we'll condense into as few cars as we can. Wear, you know,  
14 sturdy shoes, be ready for whatever weather we might have.

15 MS. FEFER: Meet at Gus Hess Park. Is that  
16 right? That's Gus Hess? Yeah.

17 MR. ANDERSON: And hopefully, I think we're  
18 going to try to be done by 12 or 12:30. So it should, you  
19 know, it's a small project, so it shouldn't take that long,  
20 but, you know, but if people get involved in conversation,  
21 you never know.

22 MS. FEFER: That's true. All right. Well if  
23 there's no other questions, then we can, we can call it and  
24 hopefully see a lot of you tomorrow. All right. Thank you  
25 so much for being here. We appreciate it.

1 (Whereupon the above proceedings concluded at  
2 6:50 p.m.)  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding  
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the  
5 Matter of:

6 Name of Proceeding:

7 Lundy Project

8

9

10

11

12

13

14

15 Project No.: P-1390

16 Place: Lee Vining, CA

17 Date: Tuesday, May 14, 2024

18 was held as herein appears, and that this is the original  
19 transcript thereof for the file of the Federal Energy  
20 Regulatory Commission, and is a full correct transcription  
21 of the proceedings.

22

23

24

Bala Chandran

25

Official Reporter



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
FEDERAL ENERGY REGULATORY COMMISSION  
Office of Energy Projects

- - - - - x  
Lundy Project : Project No. P-1390  
- - - - - x

Lee Vining Community Center  
296 Mattly Avenue  
Lee Vining, CA 93541  
Wednesday, May 15, 2024

A public scoping meeting was held, pursuant to notice.  
starting at 2:00 p.m.

1 P R O C E E D I N G S

2 MR. ANDERSON: All right. Just a reminder, if  
3 you haven't signed in up front, please do so that we have a  
4 record of folks who have come to the meeting. A couple just  
5 notes similar to yesterday. If they're in the case of  
6 emergency, please just exit straight out the back. We'll  
7 rally at the back end of the parking lot. Restrooms are out  
8 the door to the left. I really wanted to emphasize that if  
9 you're going to talk today make sure you use the  
10 microphone, identify yourself.

11 I've been asked to sort of make it clear that if  
12 you don't speak into the microphone, Chandra and can't get a  
13 good record of it and can't have your thoughts on the  
14 record. So I appreciate everybody starting here. We'll  
15 start off with FERC and then Matt will have some comments  
16 about how the project operates. We've got short video and  
17 then yeah, we'll just have the discussion from there, right?  
18 So Jessica?

19 MS. FEFER: Yeah. Thank you. All right. How  
20 does that work, sort of, is that okay? All right. All  
21 right. Hi, everyone. Thanks for being here today. For  
22 those of you who are out at the site visit, which I think  
23 was everyone, thanks for being at the site visit. And sorry  
24 that I wasn't able to be a little bit more engaged in that,  
25 but sorry, do you guys hear that too?

1 MR. SIDIBE: Little bit of background noise?

2 MS. FEFER: Yeah. All right. Awesome. Thank  
3 you. Maybe it's me. Is it close to that one? Let's see,  
4 how's that? Oh, that might have been it. I think it needs  
5 to be here for me to actually be able to talk into it.

6 Okay. All right, great. So, I'm Jess Fefer.  
7 I'm with FERC. I am the relicensing project coordinator.  
8 And I am environmental protection specialist as well. My  
9 specialty is outdoor recreation, land use, aesthetics and  
10 environmental justice. And I am accompanied by two of my  
11 colleagues here that I will also have introduce themselves.  
12 Go ahead, Sid.

13 MR. SIDIBE: I'm Ousmane Sidibe, Sid. Civil  
14 engineer with FERC.

15 MS. FEFER: Oh, sorry.

16 MS. KIPP: Becky Kipp I'm a wildlife biologist  
17 with FERC.

18 MS. FEFER: All right. Thank you. And if I  
19 could have SCE introduce yourself real quick.

20 MR. WOODHALL: We can try this one? Yeah, it  
21 works. I'm Matthew Woodhall with Southern California  
22 Edison. I'm the project manager overseeing the relicensing  
23 of Lundy.

24 MS. FEFER: Awesome. Thank you. So just a  
25 quick agenda for the meeting today. But before I do that, I



1 do have a couple of housekeeping items I know we already  
2 mentioned to definitely make sure to sign in. And actually  
3 you already did it for me. I was going to say, state your  
4 name and affiliation when you're when you're speaking. So I  
5 think that's actually really the only housekeeping that I  
6 had.

7 Oh, one thing that I did want to make sure to  
8 mention is that when you speak today of course we are going  
9 to have that on the record. We have our court reporter  
10 here. But we also, you know, that doesn't take the place of  
11 commenting online. And so I am going to, you know, to walk  
12 through how to do that if you don't know already kind of how  
13 to comment online. But make sure that with the comments  
14 that you say out loud today, also put those on the record  
15 for us.

16 So today I'm going to start by just going over  
17 the licensing process a quick overview of that. And then  
18 SCE will jump in with their proposal. And then I will come  
19 back and we'll identify resource issues that were identified  
20 in scoping document one, and we'll have time for comments  
21 and discussion from you all. So just really briefly kind of  
22 a introduction to FERC, although you may all know this  
23 already.

24 We are a federal agency that regulates the  
25 interstate transmission of natural gas, oil and electricity.

1 And additional responsibilities including licensing and  
2 inspecting of non-federal hydroelectric projects. We are  
3 all in the division of hydropower licensing. That's why  
4 we're here because you're going through relicensing. But  
5 there's also the division of hydropower administration and  
6 compliance and dam safety and inspection that you all  
7 probably deal with when you're not in relicensing.

8 Kind of a bird's eye view of the relicensing  
9 schedule. SCE filed their pre-application document in the  
10 end of February. We are now in scoping, that's what we're  
11 here doing. And then the next stage will be study periods  
12 and figuring out what the studies should be. And then SCE  
13 will file their re-license application by February 28th,  
14 2027. And then I have this FERC reviews SCE application in  
15 yellow because that's when the timeline sort of gets a  
16 little bit more wonky.

17 We might have some back and forth with SCE about  
18 getting all the information that we need. And, you know,  
19 then we move forward to the NEPA analysis. And my next  
20 slide sort of walks you through all of the times that you  
21 will be able to comment in during this period. So again, we  
22 are in scoping season right now. Your comments for the pad  
23 scoping document one and any study requests are due on June  
24 24th. So make sure to get those into us so that we can  
25 incorporate those into a second scoping document as needed.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Our next phase will be putting the study plans together and you all have two opportunities to comment there as well. SCE will file their proposed study plan in early August of 2024, and then you all can comment on that before November 4th. And then SCE will take those comments into account and file a revised study plan in December. And then you will be able to comment on that as well before FERC issues the study plan determination.

Then we go into the study seasons and that can take some time and you all will have time to comment on the initial study report and the updated study report as well. And then you'll also get a chance to comment on the preliminary license proposal before SCE files their license application. And this is just to point out that sort of at the earliest right, this is a really long process and that's just sort of my point with this slide is kind of at the earliest we'll be ready for our environmental analysis by the end of April of 2027.

And you'll have time to comment on that as well. All right. Oh, and all of those dates are also in the scoping document, so I don't expect you to, you know, remember all those. But so the purpose of scoping, right? It is obviously a requirement that's part of NEPA regulations FERC regulations and other applicable laws. But

1 I think more importantly, it's about understanding public  
2 perspectives and concerns of what's going on at the project.

3

4 We hope that you'll help us identify issues,  
5 identify reasonable alternatives identify available  
6 information that might be relevant to the project and our  
7 analysis and identify cumulatively affected resources. So  
8 we're here to hear from you all and learn from you all. And  
9 so with that, we will go over SCE's proposal. Let's see.  
10 Oops. Okay. Do you want me to get this slide show going?  
11 Here we go.

12 MS. WILLIAMS: Hi guys. My name's Audry  
13 Williams. I'm an archeologist for Edison. We just wanted  
14 to start this meeting off with taking a moment to recognize  
15 that the Lundy project as well as where we're meeting today  
16 and everywhere we went today is within the Mona Lake  
17 Kootzaduka'a Tribes traditional land, which they have  
18 steward for generations. Thanks.

19 MR. WOODHALL: Thanks, Audrey. Okay. Well,  
20 thanks for being here, everyone on behalf of Southern  
21 California Edison, I just want to share my appreciation for  
22 everyone participating today. I think we had a good day in  
23 the field going up and seeing the project and looking  
24 forward to just talking a little bit more about those  
25 operations.

1                   But before we do that, just want to introduce  
2 some of the folks on the Edison side, on the Edison team  
3 both from Edison and our consulting team as well. I've  
4 already introduced myself, Matthew Woodhall. We also have  
5 Martin Ostendorf, who's in the back of the room there. He  
6 is a senior manager in our regulatory licensing group,  
7 Audrey Williams, who we just have the land acknowledgement  
8 from. And then we also have Seth Carr in the room today,  
9 who's our operations manager that makes everything happen up  
10 here and keeping Lundy running.

11                   On the consulting side, we have Finlay Anderson,  
12 who you've met earlier, who's going to be running the  
13 microphone for us today. We have Angela in the back Kelly  
14 over here. Brad Blood and Allison are here as well. And  
15 you can see the subsequent areas of interest in the areas  
16 that they'll be overseeing as part of the licensing we have.  
17 Heather is here, Lynn --

18                   MS. WILLIAMS: She is not here.

19                   MR. WOODHALL: Lynn is not here. Jay and King  
20 are not here. And I think Edith is here as well. So aside  
21 from some of these leads that are going to be heading up the  
22 licensing activities, there's a, you know, a team of  
23 individuals even beyond that. So I just want to acknowledge  
24 those individuals. There might be names that you'll be seen  
25 as this process continues. Thought we'd also just share a

1 video that we have of the project. This will be a nice kind  
2 of cherry on the top from our field day. This will just be  
3 a quick overview of what we saw, but just a way to kind of  
4 put it all together. So we'll start with this video and  
5 then we'll do a little bit of review.

6 (Video played)

7 Hello and thank you for joining us on this video  
8 tour of Southern California Edison's Lundy Project.  
9 Southern California Edison owns and operates the Lundy  
10 Project in Mono County, California. This video will provide  
11 a brief overview of the project and its principle features.  
12 Lands in and around the project include a combination of  
13 federal and non-federal lands. The watershed has a total  
14 drainage area of approximately 135 square miles.

15 The Mono Basin and the Mill Creek watershed  
16 includes the crest of the Sierra Nevada with maximum  
17 elevations extending up to 12,400 feet to approximately  
18 6,400 feet at the shoreline of Mono Lake. The Lundy Project  
19 originates in Lundy Canyon and flows directly into Mono Lake  
20 four miles downstream. The Lundy Project is authorized by a  
21 30-year license issued by the Federal Energy Regulatory  
22 Commission or FERC in 1999.

23 This authorization expires on February 28th,  
24 2029. The current FERC license contains measures to protect  
25 key resources, and these measures will be reevaluated as

1 part of the process we are starting. The vicinity of the  
2 Lundy project was historically sculpted by glaciers and is  
3 currently characterized by rounded granitic outcrops,  
4 U-shaped glacial valleys, glacial lakes, and tele slopes.

5           The stunning visual and natural features of the  
6 area lend themselves to recreational opportunities,  
7 including camping, hiking, and fishing. A campground is  
8 located below, Lundy Lake. Lundy Lake and Mill Creek are  
9 stocked by California Department of Fish and Wildlife for  
10 fishing. There are trails and trail heads that are  
11 accessible from the Lundy project.

12           Boating, sightseeing and picnicking are also  
13 popular in this area. Lundy Lake is the intake for Lundy  
14 Powerhouse. The lake has historically been drawn down in  
15 the winter to provide storage capacity for spring runoff.  
16 Water is conveyed from Lundy Lake to the powerhouse via the  
17 flow line and Penstock. Water is managed in the basin  
18 according to established water rights that have been  
19 adjudicated by the Superior Court of Mono County.

20           Spill and power generation are largely  
21 incidental to these water rights and secondarily by SCE's  
22 Power Sales Agreement with Los Angeles Department of Water  
23 and Power, which specifies annual drawdown requirements.  
24 SCE's FERC license requires that minimum flows be provided  
25 to stream reaches between the reservoir and the powerhouse,

1 but these are also limited by pre-existing water rights.

2 Lundy Lake receives its water from Lundy Canyon,  
3 which has a drainage area of approximately 16 square miles.  
4 The gravel and Rockfield Dam measures approximately 690 feet  
5 long with a structural height of 48 feet from the base of  
6 the core wall to the top of wall. The dam impounds the  
7 132-acre Lundy Lake, which has a net storage capacity of  
8 4,113 acre feet. The spillway is a 150 foot long by 7.7  
9 foot deep notch in the concrete core wall.

10 An additional water release structure known as  
11 the Farmer's Gate operates when the lake level is above  
12 7,779 feet. To provide additional flow to the base of Lundy  
13 Dam. Generally, operation of the Farmer's Gate is possible  
14 during wetter spring periods for wet water years. On the  
15 west end of Lundy Lake, there is a two lane boat launch  
16 available for recreationists. The site offers parking for  
17 approximately five boats with trailers at Lundy Dam.

18 There is a day use area with a gravel parking  
19 lot. This site offers a restroom facility along with access  
20 to local trails. Lundy Canyon Campground is located  
21 downstream approximately one mile northeast of the Lundy  
22 Lake Dam. The campground is operated under a lease from SCE  
23 to Mono County. The campground offers 37 sites for  
24 recreationists 910 sites and 28 sites that can fit a 35-foot  
25 recreational vehicle. Sites offer a cleared area for



1 camping, a picnic table, a parking area, and several sites  
2 offer a bear proof box for storage.

3           There are four day use areas located east of  
4 Lundy Canyon Campground. These day use sites provide  
5 parking areas and picnic cables for recreationists to enjoy  
6 views of Mill Creek. Mill Creek flows into Mono Lake, below  
7 Lundy Lake downstream to the 7,200 foot contour. The creek  
8 is densely vegetated causing frequent log jams. Wood and  
9 boulders are frequent. And channel bed material is a mix of  
10 gravel, cobbles and boulders with some sand. Below this  
11 7,200 foot contour. The creek extends downstream for  
12 another 3.5 miles outside of the project boundary to Mono  
13 City, and is under lane by gravels and silts.

14           After leaving Mono city the creek is under laid  
15 by gravels and cobbles for the remaining 2.5 miles  
16 downstream where it flows into Mono Lake. The Lundy  
17 Powerhouse is a reinforced concrete building constructed in  
18 1911. It is located on the Wilson drainage east downstream  
19 of Lundy Lake. The building is 66 feet long, 32 feet wide,  
20 31 feet high, and has a substructure that is nine feet deep.  
21 The powerhouse contains two canyon turbines, each directly  
22 connected to an Alice Chalmers generator rated at 15,000  
23 kilowatts.

24           Below the Lundy powerhouse water discharge from  
25 the powerhouse tail race is sent to a splitterbox, which

1 directs flows either to the Wilson Drainage system, Wilson  
2 System, or returns water to Mill Creek via the Mill Creek  
3 return ditch. This return ditch shown here and the point at  
4 which it rejoins Mill Creek represents the end of the FERC  
5 project boundary.

6           The allocation of water between the Wilson  
7 System and Mill Creek is determined based on existing  
8 adjudicated water rights and flows through the powerhouse  
9 set to ensure those water deliveries to water rights holders  
10 are met. Once water is returned to Mill Creek, it is  
11 outside the Lundy project boundary and continues towards  
12 Mono Lake.

13           Thank you for your time and interest in SCE's  
14 Lundy project. If you are interested in learning more about  
15 the project and the FERC relicensing process, please visit  
16 the project website at [www.sce.com/lundy](http://www.sce.com/lundy) for more  
17 information.

18           MR. WOODHALL: All right. Nice to see some  
19 shots of the lake full of water, which today when we were  
20 out there, it's still at low pool, so kind of kind of cool  
21 to see the conditions when it's full. So it seems to be a  
22 lag here. Oh, I got this. Oh. Too many times. There we  
23 go. Got it. Thank you, Finlay.

24           All right. Well, from here we'll just do a, a  
25 little review. Some of this stuff we talked about today on

1 the field visit. I'm not sure if everyone made it to the  
2 field visit, but a lot of great questions today. A lot of  
3 great dialogue. This is just a quick kind of synopsis of  
4 the project, some of its elements and how it operates. It  
5 is currently on a 30-year license, which expires February  
6 28th, 2029. We did formally kick off the FERC process in  
7 February of this year with our pre-application document and  
8 notice of intent filing. And we will be filing a draft  
9 license application in 2026.

10 So there's still some time between now and that  
11 filing where we'll be doing the studies to help inform that  
12 process. We are not proposing any sort of changes to  
13 operations or any changes to the facilities. From a  
14 location standpoint, we are on the east slope of the Sierra  
15 Nevada. It's within a small portion of the INO National  
16 Forest within the county of Mono County.

17 And the private lands that are within the  
18 project are primarily held by Southern California Edison.  
19 And the main water body is Mill Creek that is dammed up by  
20 the Lundy Dam and the creation of the lake there. So Lundy  
21 Dam itself and the lake as I said, is fairly near the  
22 headwaters of Mill Creek 73 acre reservoir.

23 The powerhouse downstream of the lake is a three  
24 megawatt powerhouse the flow line, the penstock connecting  
25 the Lundy Lake and the powerhouse. So it's just a single

1 flow line with a pen stock and the single powerhouse. And  
2 then below the powerhouse we have the structure called the  
3 splitterbox, which manages flows to the water right holders  
4 either going over to the Wilson system or back over to Mill  
5 Creek.

6           The operations at Lundy are driven by the  
7 adjudicated water rights. We SCE passes the water through  
8 the powerhouse and then delivers the water to the water  
9 right holders through the varying pieces of infrastructure.  
10 The return ditch, the Wilson system there at the  
11 splitterbox. And then there's also another ditch that  
12 delivers water over to Mono County, which is the upper  
13 Conway Ditch that we participate in removing that water over  
14 there when they ask us to, just because the gate there is  
15 right within the tail race.

16           And if you guys were out there today, you, you  
17 saw that actually in action we're currently moving water  
18 over in Upper Conway. And so we were able to see that that  
19 gate drop down and diverting that water. There is also a  
20 ditch called the Adair Ditch, which is an old historic ditch  
21 that provides water over to the water right holders over on  
22 the Wilson side. If we ever have to take the powerhouse  
23 completely offline and we're not able to bypass any water  
24 through there, that old historic ditch can be utilized to  
25 fulfill those water rights.

1           This is just a quick little schematic of all the  
2 things that we've been talking about. This just puts it all  
3 on one page and kind of this cartoon character here, but it  
4 does show all the different points of operation with the  
5 reservoir at the top. And the three, four actually  
6 discharge points that can come out of the bottom of the dam.  
7 That farmer's gate that sits right in the middle of the dam  
8 that can be operated just above the elevation that it  
9 mentioned in the video there.

10           Water can also go over the spillway and really  
11 high water years. When the lot of water's coming into the  
12 lake, we try to manage to keep things out of spill. But  
13 oftentimes it will spill anyway, even if we have water going  
14 out of the farmer's gate, the water can go over the  
15 spillway. We also utilize the rock drop valve, which we  
16 also saw in operation today, that to move water that needs  
17 to be delivered in the Mill Creek, that for whatever  
18 reason, not able to go through the return ditch, we'll  
19 utilize that rock drop valve if it's at a quantity that that  
20 valve can handle.

21           And then we also have the minimum instream flow  
22 valve that is continuously set to deliver the one CFS  
23 minimum instream flow requirement that the license currently  
24 requires. On the powerhouse side water travels to the  
25 powerhouse, turns the generators from there, it goes into

1 the tail race. It can be diverted to go over to Upper  
2 Conway as I mentioned earlier. If Mono County asks us to do  
3 that, we will do that.

4 Otherwise, all the water goes down to the  
5 splitterbox and then it gets earmarked to go to the  
6 individual water right holders, the water right holders that  
7 want their Water Mill Creek. It comes through the return  
8 ditch on the Wilson side. It goes the other way through a  
9 Langemann gate up there at the splitterbox and gets  
10 delivered out into the Wilson system.

11 There's also a depiction of that, a dare ditch  
12 that can move water directly from Mill Creek into Wilson  
13 just below the splitterbox. Again, in times when the  
14 powerhouse, we can't bypass any water that just essentially  
15 keeps the Wilson system with some water in it. As I  
16 mentioned, the water rights are kind of the driving force  
17 behind all the operations.

18 Those water rights were adjudicated in Mono  
19 County Superior Court in November 30th, 1914. They predate  
20 that many of those water rights were established back in the  
21 18100s, but they were actually formally adjudicated in 1914.  
22 And SCE has a non-consumptive, right? It's just a pass  
23 through for us. We just use the water to generate  
24 electricity, and then we move the water onto those water  
25 right holders.

1                   Just to get a sense of what we're talking about.  
2   With all the water rights it's not just a simple single  
3   quantity type scenario. There's 11 different water rights  
4   that are held in priority order, meaning they get fulfilled  
5   in those priorities up to 74.6 CFS. Each one has an  
6   individual quantity associated with that priority. And so  
7   if you look at the different water right holders you'll  
8   notice that some of them, like Mono County, has multiple  
9   water rights at multiple priorities.

10                  So that has to be kept track of, which we do  
11   through using a Excel based tool that kind of tracks this  
12   for us, and that helps us to make sure that we deliver the  
13   water to the water right holder in the appropriate  
14   quantities based upon this table, which is in that  
15   adjudication that I mentioned earlier. I think we saw some  
16   of these milestones already, but throwing them out there,  
17   again lots of activity going on between now and the end of  
18   this process.

19                  This is going to be a multi-year process. We're  
20   looking forward to getting things kicked off. And again,  
21   these dates, I don't think you need to memorize anything.  
22   There's plenty of places they're listed, but lots of  
23   opportunity to get engaged in the process add information to  
24   any of any of these milestones as they take place. Any  
25   questions on just general Lundy operations type questions?

1 All right. I guess we'll turn it back over to you, Jess.

2 MS. FEFER: Sounds good.

3 MR. WOODHALL: Thanks again, everyone.

4 MR. SIDIBE: All right.

5 MS. FEFER: Sure.

6 MR. SIDIBE: You got that?

7 MS. FEFER: Yeah. All righty. All right.

8 Thanks Matt for going through that. Okay. And now I am  
9 just going to jump into the preliminary resource issues that  
10 were identified in scoping document one. And so what I'm  
11 going to do is I'm just going to go through each of these  
12 resources and what those preliminary issues might be, and if  
13 you have comments or questions about that specific resource,  
14 I will open it up for each resource. So just go ahead and  
15 keep your comments to each resource that we're on, and then  
16 we'll have time to comment more generally in the end.

17 So just for lack of kind of a better way of  
18 doing this, I am just going to read the slide to you. So  
19 geology and soil resources effects of continued project  
20 operation on shoreline erosion and sediment transport  
21 downstream of Mill Creek potential effects of sediment  
22 movement from or within Deer Creek to the project shorelines  
23 and stream banks along Mill Creek and effects of Hill slope  
24 erosion downstream of Lundy Lake and Deer Creek. Any  
25 comments or additions to potential impacts related to



1 geology and soil resources?

2 MR. ANDERSON: I'm going to make a comment.

3 This is Finley Anderson with Kleinschmidt on behalf of  
4 Southern California Edison. And I just wanted to comment  
5 that I think the way the second bullet is phrased regarding  
6 deer Creek implies that the Deer Creek is part of the  
7 project, and it's part of the project description. It is in  
8 fact outside the FERC boundary. It enters the Mill Creek  
9 below the minimum Instream flow point and is in fact a  
10 pretty substantial source of sediment to Mill Creek. So in  
11 terms of a scoping document too, I think we'd be looking for  
12 a little refinement of that bullet point.

13 MS. FEFER: Okay. Thank you. All righty.

14 Water resources effects of continued project operation on  
15 water quality in the project bypass reach and downstream  
16 of the powerhouse effects and continued project operation on  
17 water quality in Lundy Lake and effects of continued project  
18 operation on downstream water rights and users, any  
19 additional water resources potential impacts.

20 All righty. Moving on to aquatic. Effects of  
21 continued project operation on fish habitat and fish  
22 resources in the project impoundment bypass reach and  
23 downstream of the powerhouse effects of fish entrainment at  
24 the Lundy powerhouse on fish resources in the project area.  
25 Effects of continued project operation on fish stranding

1 effects of project water diversion and instream flow on fish  
2 habitat in the project bypass reach and effects of continued  
3 operation on aquatic invertebrates downstream of the Lundy  
4 Dam. Any additional potential impacts to aquatic  
5 resources?

6 All righty. Moving on to terrestrial. Effects  
7 of continued project operation and maintenance on special  
8 status botanical resources. Effects of the introduction and  
9 or spread of invasive plant populations potentially  
10 occurring due to maintenance activities effects of continued  
11 operation and maintenance on special status wildlife species  
12 and effects of continued operation and maintenance,  
13 including vegetation management and herbicide use on native  
14 vegetation and wildlife game species, and the special  
15 status species identified in CEEs pad, including Indian  
16 national Forest, species of conservation concern and nesting  
17 migratory bird species. Any additional terrestrial impacts?

18 Yes.

19 MR. ANDERSON: Your name and affiliation.

20 MS. WRAGG: Oh, sure. Haley Wragg Lundy Lake  
21 Resort. I already shared this briefly with Edison earlier  
22 today, but we have observed in the last five years,  
23 especially during the drought season 2020 through 2021, 2022  
24 that when the lake is really low and we have exposed lake  
25 bed and mud some invasive plant species are really taking

1 control of the area, specifically Mullein.

2           It's comparable to like walking through a  
3 cornfield of Mullein. And unfortunately over the years,  
4 with dry years and needing to of course deliver water to the  
5 water holders all those combinations it's spread through the  
6 entire canyon and it's extremely hard to remove. It's not  
7 just on the west end by the resort, it's on the east side,  
8 it's at the canyons at this point.

9           So just a concern for mitigation. Especially  
10 when the lake is low and we know it's going to be low we  
11 know that Mullein is going to be there. I also am not a  
12 botanist or a fish specialist, but through like really short  
13 research Mullein was originally introduced to the Americas  
14 to actually kill fish in water populations.

15           They would take it and grind up the seeds and to  
16 poison the fish and kill them in a water source. So the  
17 fact that that's in the water bed is really concerning. And  
18 obviously we did not see a lot of it today because we have a  
19 very full year. And hopefully that will continue, but for  
20 drought years, it's just something to pay attention to. And  
21 I would love to partner with community and Edison and  
22 whoever to help get rid of that at one point slowly but  
23 surely. Yeah. Thank you.

24           MS. FEFER: Great. Thank you for your comment.  
25 We'd love to see it on the record too. All right. Thank

1 you. All right. So for threatened and endangered species  
2 effects of continued project operation and maintenance  
3 activities on species designated as federally threatened,  
4 endangered proposed or candidates for listing and designated  
5 critical habitat proposed and final under the Endangered  
6 Species Act. I don't have those listed out here, but they  
7 are in scoping document one and the pad. So any additional  
8 impacts to threaten an endangered species?

9 All righty. Recreation resources. Affects  
10 continued project operation and maintenance on recreation  
11 resources and adequacy of existing recreation facilities to  
12 meet current and future recreation demand. Yes, I'll give  
13 you the mic again.

14 MS. WRAGG: Okay. This one's a bit long.  
15 Sorry, I have some notes.

16 MS. FEFER: No worries.

17 MS. WRAGG: I just want to enter it into the  
18 record. My name's Haley Wragg. I'm with Lundy Lake Resort.  
19 I'm certified in wild end resources and forestry, and also  
20 I'm a fourth generation Lundy lover. So it makes me really  
21 happy to see everyone come together to discuss such a  
22 precious and like beloved place, which is Lundy. Lundy Lake  
23 Resort resides on the west end of the lake.

24 So when we took our tour today, and when we look  
25 at the maps, that's the boat launch side. We have a

1     fabulous boat launch there that has lots of public use.  
2     However they're not sufficient public resources to take care  
3     of human waste and trash on that side of the lake. When we  
4     compare the east and west ends of the lake, you'll notice  
5     that there's a large difference.

6             There's just simply no recreational resources  
7     other than the boat launch. On that side of the lake,  
8     there's no public restrooms no bathroom, no trash to support  
9     the FERC public zone. And when you look at section 5.8.4 in  
10    the pad, I was concerned to see that there was no like  
11    future plans to be able to maintain the existing day use  
12    rate and also address future rates in a post COVID world,  
13    and also with our neighbors in Yosemite throttling the  
14    number of visitors that can come into the park every year.

15            We're seeing a lot of overflow in neighboring  
16    areas, Bridgeport, Virginia, Lundy June Lake. And so that's  
17    putting a lot of pressure on the existing areas, including  
18    the west end of Lundy Lake. Currently, when the public goes  
19    to use the west side of the lake and use the boat launch,  
20    the nearest public restroom is either one mile west which is  
21    up the road on Lundy Lake Road in the Indian National  
22    Forest, where there is a restroom at the Trailhead or one  
23    mile East which is where the dam is.

24            And that's just simply unreasonable to ask of  
25    people. And because of that, we're having you know, some

1 issues. Best practice would be to have at a point of  
2 interest like that something between three and 500 feet  
3 away. And that hasn't been happening. The challenges, you  
4 know, that we're seeing here are not like solo just Lundy,  
5 obviously it's not specific to Lundy, but I do feel it's my  
6 duty as the boots on the ground on the west side to just let  
7 you know what's going on and the pressures that we're  
8 feeling.

9           My priority will always be keeping Lundy clean  
10 and open to all and for generations to enjoy it. And that's  
11 why in emergency response responses last year, Lundy Lake  
12 Resort, in partnership with Sierra Septic has been  
13 sponsoring a public use Porta-potty on the west side of the  
14 lake. But that's just financially a burden for us. And not  
15 completely, you know, permanent, so we're just looking for a  
16 sustainable solution here. You know, for years this has  
17 been an issue, but it really came to a peak in 2023.

18           In 2023, we had the 100 year winter, and many  
19 facilities, including Lend Lake Resort, were not able to  
20 open on time, but creators were there and wanting to play,  
21 and because of that, we had significant trespass issues on  
22 private property, not just Edison on private lands, people  
23 breaking into buildings to use restrooms that were not  
24 hooked up to water. Significant human waste along the lake  
25 bed and the edge as well as trash and fishing line.

1           And as I mentioned, as a community, we came  
2 together, Lundy Lake Resort partnered with Sierra Septic.  
3 In response, I've communicated to Edison, the Forest Service  
4 and Mono County about the issue. And we also have many good  
5 Samaritans and that live in Mono City and Vining that always  
6 make an effort to clean up when they're recreating  
7 responsibly, and we're really grateful to them.

8           But just personally it's my opinion that like,  
9 ultimately we need a support system to give the day use  
10 recreations an option to do the right thing. And my request  
11 would be during fishing season when that west side of the  
12 lake is open to public access that there could possibly be a  
13 porta-potty sponsored or a pit toilet. I realize that that  
14 might not be realistic, and that is okay.

15           A porta-potty would be fine. Trash service and  
16 possibly a fishing line recycling tube, which is a new best  
17 practice that I'd actually love to see on both the east and  
18 the west side of the lake. If that's an opportunity. And I  
19 just want to reiterate that while Lundy Lake Resort is  
20 prepared and we do provide services for our resort patrons,  
21 the public use rate that we're seeing, especially within the  
22 FERC public use boundary is spilling over into our  
23 neighboring owners, both under license and under private  
24 ownership.

25           And anything that we can do would be great. And

1 I really hope that these simple solutions will be earnestly  
2 considered in the licensing process. So thank you so much.

3 MS. FEFER: Great. Thank you. All righty.

4 Land use and aesthetics. Effects of continued project  
5 operation and maintenance on land use and effects of  
6 continued project operation and maintenance on the aesthetic  
7 quality of the project area. Does anyone have any effects  
8 that they would like to add to land use and aesthetics?

9 All righty. Moving on to cultural and tribal  
10 resources. Effects of continued project operation and  
11 maintenance on historic or archeological resources and  
12 traditional cultural properties that may be eligible for  
13 inclusion in the National Register of historic places or on  
14 other areas or places of religious, cultural and traditional  
15 importance to Indian tribes. Does anyone have any impacts  
16 that they would like to add to cultural and tribal  
17 resources?

18 All right. Socioeconomics. Effects of  
19 continued project operation and flow diversions on  
20 agriculture and other consumptive uses in Mono city.  
21 Effects of any reduction in the amount of water available  
22 for irrigation on agricultural production and pasture land  
23 for livestock in Mono Lake watershed. Any additional  
24 impacts to socioeconomics that you'd like to add?

25 All righty. Environmental justice. Effects of



1 project operation and maintenance of identified  
2 environmental justice communities. Any additional impacts?

3 All right. So cumulative effects which I'm sure all of you  
4 know, but just as a reminder, it's the impact of the  
5 environment that results from incremental impact of the  
6 action when added to other past, present and reasonably  
7 foreseeable future actions.

8 So we identified that water and aquatic  
9 resources could be cumulatively affected by the continued  
10 operation and maintenance of the laundry project. Does  
11 anyone else think that any other resources should be  
12 included as a potential cumulative effect in SD2? All  
13 right. So with that, that is sort of the end of our sort  
14 of resource issue list that we had in scoping document one.

15

16 Thank you so much for the comments. We'll  
17 definitely take those into consideration. Other sort of  
18 information that we are requesting from you all in your  
19 participation in this process. Section seven of the SD1  
20 that's scoping document one includes a list of the  
21 comprehensive plans on file with the commission that are  
22 relevant to the Lundy project.

23 And as part of scoping, we would request that  
24 agencies review the list and file any new comprehensive  
25 plans that we could add. We also ask that any entity that

1 is not already on the mailing list to be added to the  
2 official mailing list, there are instructions for that in  
3 section eight of SD1. And then of course, any significant  
4 environmental issues that should be addressed in the EA.

5 We appreciate your comments here and would also  
6 super appreciate if you put those on the record as well.  
7 And the way that you would do that, it's not super helpful  
8 that I have a QR code up here, I realize, but I also have  
9 the same QR code as a handout over there. And it just takes  
10 you to fork online for where you can comment. You can also  
11 subscribe using the project number P1390 and then have  
12 anything that goes on the public record come to your email.  
13 And that can all happen in FERC online.

14 And like I said, there's a handout over there  
15 that will give you instructions and I think many of you're  
16 probably pretty versed in it, but you're first scoping  
17 comments, as I've mentioned already are due June 24th. So  
18 just sort of keep that in mind. And then after the scoping  
19 process, we're moving into the study process where we're  
20 sort of putting together what studies SCE will be  
21 conducting to inform this relicense.

22 And so this is just a reminder. I know you've  
23 seen these dates a bunch of times now, but you will have  
24 opportunity to comment on what those studies are going to  
25 look like. You can do study requests that, sorry, SCE will

1 file their proposed study plan in August 6th, and then  
2 you'll have an opportunity to comment on that, including any  
3 study requests.

4           And then SCE will update to a revised study plan  
5 based on those comments, and you'll be able to comment on  
6 that as well. And the study requests are pretty specific.  
7 You know, your comments, go ahead and say whatever you want  
8 in the study requests if you're requesting a new study. We  
9 have some pretty specific asks of you to help us understand  
10 what you're asking for. And so that we can properly do our  
11 analysis. And so I'm just going to read through these and  
12 sort of what those requirements are for our study requests.

13

14           So we ask that you describe the goals and  
15 objectives of each study proposal and the information to be  
16 obtained. If applicable, explain the relevant resource  
17 management goals of the agencies or Indian tribes with  
18 jurisdiction over the resource to be studied. If you as a  
19 requester are not a resource agency, explain any relevant  
20 public interest considerations in regard to the proposed  
21 study.

22           Describe existing information concerning the  
23 subject of the study proposal and the need for additional  
24 information. Explain the nexus between project operations  
25 and effects on the resource to be studied and how the study

1 results would inform the development of license  
2 requirements. And these last two, six and seven seem to  
3 just be the toughest for people.

4           So just pay attention to these and make sure you  
5 get that in there when you file a study request. Explain  
6 how any proposed study methodology is consistent with  
7 general accepted practice. So if you have certain methods  
8 you want us to use, let us know why. And then also describe  
9 considerations of level of effort and cost as applicable and  
10 why the proposed alternative studies would not be sufficient  
11 to meet the stated information.

12           So methods and cost. Don't forget about those  
13 people. Forget about those a lot. And with that that's all  
14 I've got so we can open it up to any more comments or  
15 discussion if you have that or questions. And feel free to  
16 reach out to me. My contact information is on the screen.  
17 Any additional comments or questions?

18           MR. TAYLOR: I have one.

19           MS. FEFER: All righty. We'll get the mic to  
20 you before you start.

21           MR. TAYLOR: Can you hear me? Has wildfire been  
22 considered? In fact, not just the effects, but like  
23 infrastructure? I'm just curious. I didn't see anything  
24 about wildfire.

25           MR. ANDERSON: Could you just state your name?

1                   MR. TAYLOR: Oh, I'm Alan Taylor. I live in  
2 Mono City.

3                   MS. FEFER: Okay. Thank you. It is not in our  
4 SD1, so we will take that into consideration for SD2.

5                   MR. TAYLOR: Yeah. I would think PG and E might  
6 have some information for you.

7                   MS. FEFER: Okay. Thank you.

8                   MR. TAYLOR: Forest Service.

9                   MS. FEFER: Sure. Okay. Thank you. Any other  
10 comments or questions? All righty. Well, seeing none,  
11 just a reminder to make sure you've signed in if you haven't  
12 already. And just thanks so much for being here and if  
13 you're able to make it to the site visit, thanks for  
14 spending the whole day with us. Yeah, that's all I got.

15                   MR. SIDIBE: Thanks Jess.

16                   (Whereupon the above proceedings concluded at  
17 2:47 p.m.)

18

19

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding  
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the  
5 Matter of:

6 Name of Proceeding:

7 Lundy Project

8

9

10

11

12

13

14

15 Project No.: P-1390

16 Place: Lee Vining, CA

17 Date: Wednesday, May 15, 2024

18 was held as herein appears, and that this is the original  
19 transcript thereof for the file of the Federal Energy  
20 Regulatory Commission, and is a full correct transcription  
21 of the proceedings.

22

23

24 Bala Chandran

25 Official Reporter

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
FEDERAL ENERGY REGULATORY COMMISSION  
Office of Energy Projects

- - - - - x  
Lundy Project : Project No. P-1390  
- - - - - x

Lee Vining Community Center  
296 Mattly Avenue  
Lee Vining, CA 93541  
Wednesday, May 15, 2024

A public scoping meeting was held, pursuant to notice.  
starting at 2:00 p.m.

## 1 P R O C E E D I N G S

2 MR. ANDERSON: All right. Just a reminder, if  
3 you haven't signed in up front, please do so that we have a  
4 record of folks who have come to the meeting. A couple just  
5 notes similar to yesterday. If they're in the case of  
6 emergency, please just exit straight out the back. We'll  
7 rally at the back end of the parking lot. Restrooms are out  
8 the door to the left. I really wanted to emphasize that if  
9 you're going to talk today make sure you use the  
10 microphone, identify yourself.

11 I've been asked to sort of make it clear that if  
12 you don't speak into the microphone, Chandra and can't get a  
13 good record of it and can't have your thoughts on the  
14 record. So I appreciate everybody starting here. We'll  
15 start off with FERC and then Matt will have some comments  
16 about how the project operates. We've got short video and  
17 then yeah, we'll just have the discussion from there, right?  
18 So Jessica?

19 MS. FEFER: Yeah. Thank you. All right. How  
20 does that work, sort of, is that okay? All right. All  
21 right. Hi, everyone. Thanks for being here today. For  
22 those of you who are out at the site visit, which I think  
23 was everyone, thanks for being at the site visit. And sorry  
24 that I wasn't able to be a little bit more engaged in that,  
25 but sorry, do you guys hear that too?



1 MR. SIDIBE: Little bit of background noise?

2 MS. FEFER: Yeah. All right. Awesome. Thank  
3 you. Maybe it's me. Is it close to that one? Let's see,  
4 how's that? Oh, that might have been it. I think it needs  
5 to be here for me to actually be able to talk into it.

6 Okay. All right, great. So, I'm Jess Fefer.  
7 I'm with FERC. I am the relicensing project coordinator.  
8 And I am environmental protection specialist as well. My  
9 specialty is outdoor recreation, land use, aesthetics and  
10 environmental justice. And I am accompanied by two of my  
11 colleagues here that I will also have introduce themselves.  
12 Go ahead, Sid.

13 MR. SIDIBE: I'm Ousmane Sidibe, Sid. Civil  
14 engineer with FERC.

15 MS. FEFER: Oh, sorry.

16 MS. KIPP: Becky Kipp I'm a wildlife biologist  
17 with FERC.

18 MS. FEFER: All right. Thank you. And if I  
19 could have SCE introduce yourself real quick.

20 MR. WOODHALL: We can try this one? Yeah, it  
21 works. I'm Matthew Woodhall with Southern California  
22 Edison. I'm the project manager overseeing the relicensing  
23 of Lundy.

24 MS. FEFER: Awesome. Thank you. So just a  
25 quick agenda for the meeting today. But before I do that, I

1 do have a couple of housekeeping items I know we already  
2 mentioned to definitely make sure to sign in. And actually  
3 you already did it for me. I was going to say, state your  
4 name and affiliation when you're when you're speaking. So I  
5 think that's actually really the only housekeeping that I  
6 had.

7 Oh, one thing that I did want to make sure to  
8 mention is that when you speak today of course we are going  
9 to have that on the record. We have our court reporter  
10 here. But we also, you know, that doesn't take the place of  
11 commenting online. And so I am going to, you know, to walk  
12 through how to do that if you don't know already kind of how  
13 to comment online. But make sure that with the comments  
14 that you say out loud today, also put those on the record  
15 for us.

16 So today I'm going to start by just going over  
17 the licensing process a quick overview of that. And then  
18 SCE will jump in with their proposal. And then I will come  
19 back and we'll identify resource issues that were identified  
20 in scoping document one, and we'll have time for comments  
21 and discussion from you all. So just really briefly kind of  
22 a introduction to FERC, although you may all know this  
23 already.

24 We are a federal agency that regulates the  
25 interstate transmission of natural gas, oil and electricity.

1 And additional responsibilities including licensing and  
2 inspecting of non-federal hydroelectric projects. We are  
3 all in the division of hydropower licensing. That's why  
4 we're here because you're going through relicensing. But  
5 there's also the division of hydropower administration and  
6 compliance and dam safety and inspection that you all  
7 probably deal with when you're not in relicensing.

8 Kind of a bird's eye view of the relicensing  
9 schedule. SCE filed their pre-application document in the  
10 end of February. We are now in scoping, that's what we're  
11 here doing. And then the next stage will be study periods  
12 and figuring out what the studies should be. And then SCE  
13 will file their re-license application by February 28th,  
14 2027. And then I have this FERC reviews SCE application in  
15 yellow because that's when the timeline sort of gets a  
16 little bit more wonky.

17 We might have some back and forth with SCE about  
18 getting all the information that we need. And, you know,  
19 then we move forward to the NEPA analysis. And my next  
20 slide sort of walks you through all of the times that you  
21 will be able to comment in during this period. So again, we  
22 are in scoping season right now. Your comments for the pad  
23 scoping document one and any study requests are due on June  
24 24th. So make sure to get those into us so that we can  
25 incorporate those into a second scoping document as needed.

1

2                   Our next phase will be putting the study plans  
3 together and you all have two opportunities to comment there  
4 as well. SCE will file their proposed study plan in early  
5 August of 2024, and then you all can comment on that before  
6 November 4th. And then SCE will take those comments into  
7 account and file a revised study plan in December. And then  
8 you will be able to comment on that as well before FERC  
9 issues the study plan determination.

10

                  Then we go into the study seasons and that can  
11 take some time and you all will have time to comment on the  
12 initial study report and the updated study report as well.  
13 And then you'll also get a chance to comment on the  
14 preliminary license proposal before SCE files their license  
15 application. And this is just to point out that sort of at  
16 the earliest right, this is a really long process and that's  
17 just sort of my point with this slide is kind of at the  
18 earliest we'll be ready for our environmental analysis by  
19 the end of April of 2027.

20

                  And you'll have time to comment on that as well.  
21 All right. Oh, and all of those dates are also in the  
22 scoping document, so I don't expect you to, you know,  
23 remember all those. But so the purpose of scoping, right?  
24 It is obviously a requirement that's part of NEPA  
25 regulations FERC regulations and other applicable laws. But

1 I think more importantly, it's about understanding public  
2 perspectives and concerns of what's going on at the project.

3

4 We hope that you'll help us identify issues,  
5 identify reasonable alternatives identify available  
6 information that might be relevant to the project and our  
7 analysis and identify cumulatively affected resources. So  
8 we're here to hear from you all and learn from you all. And  
9 so with that, we will go over SCE's proposal. Let's see.  
10 Oops. Okay. Do you want me to get this slide show going?  
11 Here we go.

12 MS. WILLIAMS: Hi guys. My name's Audry  
13 Williams. I'm an archeologist for Edison. We just wanted  
14 to start this meeting off with taking a moment to recognize  
15 that the Lundy project as well as where we're meeting today  
16 and everywhere we went today is within the Mona Lake  
17 Kootzaduka'a Tribes traditional land, which they have  
18 steward for generations. Thanks.

19 MR. WOODHALL: Thanks, Audrey. Okay. Well,  
20 thanks for being here, everyone on behalf of Southern  
21 California Edison, I just want to share my appreciation for  
22 everyone participating today. I think we had a good day in  
23 the field going up and seeing the project and looking  
24 forward to just talking a little bit more about those  
25 operations.

1                   But before we do that, just want to introduce  
2 some of the folks on the Edison side, on the Edison team  
3 both from Edison and our consulting team as well. I've  
4 already introduced myself, Matthew Woodhall. We also have  
5 Martin Ostendorf, who's in the back of the room there. He  
6 is a senior manager in our regulatory licensing group,  
7 Audrey Williams, who we just have the land acknowledgement  
8 from. And then we also have Seth Carr in the room today,  
9 who's our operations manager that makes everything happen up  
10 here and keeping Lundy running.

11                   On the consulting side, we have Finlay Anderson,  
12 who you've met earlier, who's going to be running the  
13 microphone for us today. We have Angela in the back Kelly  
14 over here. Brad Blood and Allison are here as well. And  
15 you can see the subsequent areas of interest in the areas  
16 that they'll be overseeing as part of the licensing we have.  
17 Heather is here, Lynn --

18                   MS. WILLIAMS: She is not here.

19                   MR. WOODHALL: Lynn is not here. Jay and King  
20 are not here. And I think Edith is here as well. So aside  
21 from some of these leads that are going to be heading up the  
22 licensing activities, there's a, you know, a team of  
23 individuals even beyond that. So I just want to acknowledge  
24 those individuals. There might be names that you'll be seen  
25 as this process continues. Thought we'd also just share a

1 video that we have of the project. This will be a nice kind  
2 of cherry on the top from our field day. This will just be  
3 a quick overview of what we saw, but just a way to kind of  
4 put it all together. So we'll start with this video and  
5 then we'll do a little bit of review.

6 (Video played)

7 Hello and thank you for joining us on this video  
8 tour of Southern California Edison's Lundy Project.  
9 Southern California Edison owns and operates the Lundy  
10 Project in Mono County, California. This video will provide  
11 a brief overview of the project and its principle features.  
12 Lands in and around the project include a combination of  
13 federal and non-federal lands. The watershed has a total  
14 drainage area of approximately 135 square miles.

15 The Mono Basin and the Mill Creek watershed  
16 includes the crest of the Sierra Nevada with maximum  
17 elevations extending up to 12,400 feet to approximately  
18 6,400 feet at the shoreline of Mono Lake. The Lundy Project  
19 originates in Lundy Canyon and flows directly into Mono Lake  
20 four miles downstream. The Lundy Project is authorized by a  
21 30-year license issued by the Federal Energy Regulatory  
22 Commission or FERC in 1999.

23 This authorization expires on February 28th,  
24 2029. The current FERC license contains measures to protect  
25 key resources, and these measures will be reevaluated as

1 part of the process we are starting. The vicinity of the  
2 Lundy project was historically sculpted by glaciers and is  
3 currently characterized by rounded granitic outcrops,  
4 U-shaped glacial valleys, glacial lakes, and tele slopes.

5 The stunning visual and natural features of the  
6 area lend themselves to recreational opportunities,  
7 including camping, hiking, and fishing. A campground is  
8 located below, Lundy Lake. Lundy Lake and Mill Creek are  
9 stocked by California Department of Fish and Wildlife for  
10 fishing. There are trails and trail heads that are  
11 accessible from the Lundy project.

12 Boating, sightseeing and picnicking are also  
13 popular in this area. Lundy Lake is the intake for Lundy  
14 Powerhouse. The lake has historically been drawn down in  
15 the winter to provide storage capacity for spring runoff.  
16 Water is conveyed from Lundy Lake to the powerhouse via the  
17 flow line and Penstock. Water is managed in the basin  
18 according to established water rights that have been  
19 adjudicated by the Superior Court of Mono County.

20 Spill and power generation are largely  
21 incidental to these water rights and secondarily by SCE's  
22 Power Sales Agreement with Los Angeles Department of Water  
23 and Power, which specifies annual drawdown requirements.  
24 SCE's FERC license requires that minimum flows be provided  
25 to stream reaches between the reservoir and the powerhouse,



1 but these are also limited by pre-existing water rights.

2 Lundy Lake receives its water from Lundy Canyon,  
3 which has a drainage area of approximately 16 square miles.  
4 The gravel and Rockfield Dam measures approximately 690 feet  
5 long with a structural height of 48 feet from the base of  
6 the core wall to the top of wall. The dam impounds the  
7 132-acre Lundy Lake, which has a net storage capacity of  
8 4,113 acre feet. The spillway is a 150 foot long by 7.7  
9 foot deep notch in the concrete core wall.

10 An additional water release structure known as  
11 the Farmer's Gate operates when the lake level is above  
12 7,779 feet. To provide additional flow to the base of Lundy  
13 Dam. Generally, operation of the Farmer's Gate is possible  
14 during wetter spring periods for wet water years. On the  
15 west end of Lundy Lake, there is a two lane boat launch  
16 available for recreationists. The site offers parking for  
17 approximately five boats with trailers at Lundy Dam.

18 There is a day use area with a gravel parking  
19 lot. This site offers a restroom facility along with access  
20 to local trails. Lundy Canyon Campground is located  
21 downstream approximately one mile northeast of the Lundy  
22 Lake Dam. The campground is operated under a lease from SCE  
23 to Mono County. The campground offers 37 sites for  
24 recreationists 910 sites and 28 sites that can fit a 35-foot  
25 recreational vehicle. Sites offer a cleared area for

1 camping, a picnic table, a parking area, and several sites  
2 offer a bear proof box for storage.

3                   There are four day use areas located east of  
4 Lundy Canyon Campground. These day use sites provide  
5 parking areas and picnic cables for recreationists to enjoy  
6 views of Mill Creek. Mill Creek flows into Mono Lake, below  
7 Lundy Lake downstream to the 7,200 foot contour. The creek  
8 is densely vegetated causing frequent log jams. Wood and  
9 boulders are frequent. And channel bed material is a mix of  
10 gravel, cobbles and boulders with some sand. Below this  
11 7,200 foot contour. The creek extends downstream for  
12 another 3.5 miles outside of the project boundary to Mono  
13 City, and is under lane by gravels and silts.

14                   After leaving Mono city the creek is under laid  
15 by gravels and cobbles for the remaining 2.5 miles  
16 downstream where it flows into Mono Lake. The Lundy  
17 Powerhouse is a reinforced concrete building constructed in  
18 1911. It is located on the Wilson drainage east downstream  
19 of Lundy Lake. The building is 66 feet long, 32 feet wide,  
20 31 feet high, and has a substructure that is nine feet deep.  
21 The powerhouse contains two canyon turbines, each directly  
22 connected to an Alice Chalmers generator rated at 15,000  
23 kilowatts.

24                   Below the Lundy powerhouse water discharge from  
25 the powerhouse tail race is sent to a splitterbox, which

1 directs flows either to the Wilson Drainage system, Wilson  
2 System, or returns water to Mill Creek via the Mill Creek  
3 return ditch. This return ditch shown here and the point at  
4 which it rejoins Mill Creek represents the end of the FERC  
5 project boundary.

6 The allocation of water between the Wilson  
7 System and Mill Creek is determined based on existing  
8 adjudicated water rights and flows through the powerhouse  
9 set to ensure those water deliveries to water rights holders  
10 are met. Once water is returned to Mill Creek, it is  
11 outside the Lundy project boundary and continues towards  
12 Mono Lake.

13 Thank you for your time and interest in SCE's  
14 Lundy project. If you are interested in learning more about  
15 the project and the FERC relicensing process, please visit  
16 the project website at [www.sce.com/lundy](http://www.sce.com/lundy) for more  
17 information.

18 MR. WOODHALL: All right. Nice to see some  
19 shots of the lake full of water, which today when we were  
20 out there, it's still at low pool, so kind of kind of cool  
21 to see the conditions when it's full. So it seems to be a  
22 lag here. Oh, I got this. Oh. Too many times. There we  
23 go. Got it. Thank you, Finlay.

24 All right. Well, from here we'll just do a, a  
25 little review. Some of this stuff we talked about today on

1 the field visit. I'm not sure if everyone made it to the  
2 field visit, but a lot of great questions today. A lot of  
3 great dialogue. This is just a quick kind of synopsis of  
4 the project, some of its elements and how it operates. It  
5 is currently on a 30-year license, which expires February  
6 28th, 2029. We did formally kick off the FERC process in  
7 February of this year with our pre-application document and  
8 notice of intent filing. And we will be filing a draft  
9 license application in 2026.

10 So there's still some time between now and that  
11 filing where we'll be doing the studies to help inform that  
12 process. We are not proposing any sort of changes to  
13 operations or any changes to the facilities. From a  
14 location standpoint, we are on the east slope of the Sierra  
15 Nevada. It's within a small portion of the INO National  
16 Forest within the county of Mono County.

17 And the private lands that are within the  
18 project are primarily held by Southern California Edison.  
19 And the main water body is Mill Creek that is dammed up by  
20 the Lundy Dam and the creation of the lake there. So Lundy  
21 Dam itself and the lake as I said, is fairly near the  
22 headwaters of Mill Creek 73 acre reservoir.

23 The powerhouse downstream of the lake is a three  
24 megawatt powerhouse the flow line, the penstock connecting  
25 the Lundy Lake and the powerhouse. So it's just a single

1 flow line with a pen stock and the single powerhouse. And  
2 then below the powerhouse we have the structure called the  
3 splitterbox, which manages flows to the water right holders  
4 either going over to the Wilson system or back over to Mill  
5 Creek.

6           The operations at Lundy are driven by the  
7 adjudicated water rights. We SCE passes the water through  
8 the powerhouse and then delivers the water to the water  
9 right holders through the varying pieces of infrastructure.  
10 The return ditch, the Wilson system there at the  
11 splitterbox. And then there's also another ditch that  
12 delivers water over to Mono County, which is the upper  
13 Conway Ditch that we participate in removing that water over  
14 there when they ask us to, just because the gate there is  
15 right within the tail race.

16           And if you guys were out there today, you, you  
17 saw that actually in action we're currently moving water  
18 over in Upper Conway. And so we were able to see that that  
19 gate drop down and diverting that water. There is also a  
20 ditch called the Adair Ditch, which is an old historic ditch  
21 that provides water over to the water right holders over on  
22 the Wilson side. If we ever have to take the powerhouse  
23 completely offline and we're not able to bypass any water  
24 through there, that old historic ditch can be utilized to  
25 fulfill those water rights.

1                   This is just a quick little schematic of all the  
2 things that we've been talking about. This just puts it all  
3 on one page and kind of this cartoon character here, but it  
4 does show all the different points of operation with the  
5 reservoir at the top. And the three, four actually  
6 discharge points that can come out of the bottom of the dam.  
7 That farmer's gate that sits right in the middle of the dam  
8 that can be operated just above the elevation that it  
9 mentioned in the video there.

10                   Water can also go over the spillway and really  
11 high water years. When the lot of water's coming into the  
12 lake, we try to manage to keep things out of spill. But  
13 oftentimes it will spill anyway, even if we have water going  
14 out of the farmer's gate, the water can go over the  
15 spillway. We also utilize the rock drop valve, which we  
16 also saw in operation today, that to move water that needs  
17 to be delivered in the Mill Creek, that for whatever  
18 reason, not able to go through the return ditch, we'll  
19 utilize that rock drop valve if it's at a quantity that that  
20 valve can handle.

21                   And then we also have the minimum instream flow  
22 valve that is continuously set to deliver the one CFS  
23 minimum instream flow requirement that the license currently  
24 requires. On the powerhouse side water travels to the  
25 powerhouse, turns the generators from there, it goes into

1 the tail race. It can be diverted to go over to Upper  
2 Conway as I mentioned earlier. If Mono County asks us to do  
3 that, we will do that.

4           Otherwise, all the water goes down to the  
5 splitterbox and then it gets earmarked to go to the  
6 individual water right holders, the water right holders that  
7 want their Water Mill Creek. It comes through the return  
8 ditch on the Wilson side. It goes the other way through a  
9 Langemann gate up there at the splitterbox and gets  
10 delivered out into the Wilson system.

11           There's also a depiction of that, a dare ditch  
12 that can move water directly from Mill Creek into Wilson  
13 just below the splitterbox. Again, in times when the  
14 powerhouse, we can't bypass any water that just essentially  
15 keeps the Wilson system with some water in it. As I  
16 mentioned, the water rights are kind of the driving force  
17 behind all the operations.

18           Those water rights were adjudicated in Mono  
19 County Superior Court in November 30th, 1914. They predate  
20 that many of those water rights were established back in the  
21 18100s, but they were actually formally adjudicated in 1914.  
22 And SCE has a non-consumptive, right? It's just a pass  
23 through for us. We just use the water to generate  
24 electricity, and then we move the water onto those water  
25 right holders.

1                   Just to get a sense of what we're talking about.  
2   With all the water rights it's not just a simple single  
3   quantity type scenario. There's 11 different water rights  
4   that are held in priority order, meaning they get fulfilled  
5   in those priorities up to 74.6 CFS. Each one has an  
6   individual quantity associated with that priority. And so  
7   if you look at the different water right holders you'll  
8   notice that some of them, like Mono County, has multiple  
9   water rights at multiple priorities.

10                   So that has to be kept track of, which we do  
11   through using a Excel based tool that kind of tracks this  
12   for us, and that helps us to make sure that we deliver the  
13   water to the water right holder in the appropriate  
14   quantities based upon this table, which is in that  
15   adjudication that I mentioned earlier. I think we saw some  
16   of these milestones already, but throwing them out there,  
17   again lots of activity going on between now and the end of  
18   this process.

19                   This is going to be a multi-year process. We're  
20   looking forward to getting things kicked off. And again,  
21   these dates, I don't think you need to memorize anything.  
22   There's plenty of places they're listed, but lots of  
23   opportunity to get engaged in the process add information to  
24   any of any of these milestones as they take place. Any  
25   questions on just general Lundy operations type questions?



1 All right. I guess we'll turn it back over to you, Jess.

2 MS. FEFER: Sounds good.

3 MR. WOODHALL: Thanks again, everyone.

4 MR. SIDIBE: All right.

5 MS. FEFER: Sure.

6 MR. SIDIBE: You got that?

7 MS. FEFER: Yeah. All righty. All right.

8 Thanks Matt for going through that. Okay. And now I am  
9 just going to jump into the preliminary resource issues that  
10 were identified in scoping document one. And so what I'm  
11 going to do is I'm just going to go through each of these  
12 resources and what those preliminary issues might be, and if  
13 you have comments or questions about that specific resource,  
14 I will open it up for each resource. So just go ahead and  
15 keep your comments to each resource that we're on, and then  
16 we'll have time to comment more generally in the end.

17 So just for lack of kind of a better way of  
18 doing this, I am just going to read the slide to you. So  
19 geology and soil resources effects of continued project  
20 operation on shoreline erosion and sediment transport  
21 downstream of Mill Creek potential effects of sediment  
22 movement from or within Deer Creek to the project shorelines  
23 and stream banks along Mill Creek and effects of Hill slope  
24 erosion downstream of Lundy Lake and Deer Creek. Any  
25 comments or additions to potential impacts related to

1 geology and soil resources?

2 MR. ANDERSON: I'm going to make a comment.  
3 This is Finley Anderson with Kleinschmidt on behalf of  
4 Southern California Edison. And I just wanted to comment  
5 that I think the way the second bullet is phrased regarding  
6 deer Creek implies that the Deer Creek is part of the  
7 project, and it's part of the project description. It is in  
8 fact outside the FERC boundary. It enters the Mill Creek  
9 below the minimum Instream flow point and is in fact a  
10 pretty substantial source of sediment to Mill Creek. So in  
11 terms of a scoping document too, I think we'd be looking for  
12 a little refinement of that bullet point.

13 MS. FEFER: Okay. Thank you. All righty.  
14 Water resources effects of continued project operation on  
15 water quality in the project bypass reach and downstream  
16 of the powerhouse effects and continued project operation on  
17 water quality in Lundy Lake and effects of continued project  
18 operation on downstream water rights and users, any  
19 additional water resources potential impacts.

20 All righty. Moving on to aquatic. Effects of  
21 continued project operation on fish habitat and fish  
22 resources in the project impoundment bypass reach and  
23 downstream of the powerhouse effects of fish entrainment at  
24 the Lundy powerhouse on fish resources in the project area.  
25 Effects of continued project operation on fish stranding

1 effects of project water diversion and instream flow on fish  
2 habitat in the project bypass reach and effects of continued  
3 operation on aquatic invertebrates downstream of the Lundy  
4 Dam. Any additional potential impacts to aquatic  
5 resources?

6 All righty. Moving on to terrestrial. Effects  
7 of continued project operation and maintenance on special  
8 status botanical resources. Effects of the introduction and  
9 or spread of invasive plant populations potentially  
10 occurring due to maintenance activities effects of continued  
11 operation and maintenance on special status wildlife species  
12 and effects of continued operation and maintenance,  
13 including vegetation management and herbicide use on native  
14 vegetation and wildlife game species, and the special  
15 status species identified in CEEs pad, including Indian  
16 national Forest, species of conservation concern and nesting  
17 migratory bird species. Any additional terrestrial impacts?

18 Yes.

19 MR. ANDERSON: Your name and affiliation.

20 MS. WRAGG: Oh, sure. Haley Wragg Lundy Lake  
21 Resort. I already shared this briefly with Edison earlier  
22 today, but we have observed in the last five years,  
23 especially during the drought season 2020 through 2021, 2022  
24 that when the lake is really low and we have exposed lake  
25 bed and mud some invasive plant species are really taking

1 control of the area, specifically Mullein.

2 It's comparable to like walking through a  
3 cornfield of Mullein. And unfortunately over the years,  
4 with dry years and needing to of course deliver water to the  
5 water holders all those combinations it's spread through the  
6 entire canyon and it's extremely hard to remove. It's not  
7 just on the west end by the resort, it's on the east side,  
8 it's at the canyons at this point.

9 So just a concern for mitigation. Especially  
10 when the lake is low and we know it's going to be low we  
11 know that Mullein is going to be there. I also am not a  
12 botanist or a fish specialist, but through like really short  
13 research Mullein was originally introduced to the Americas  
14 to actually kill fish in water populations.

15 They would take it and grind up the seeds and to  
16 poison the fish and kill them in a water source. So the  
17 fact that that's in the water bed is really concerning. And  
18 obviously we did not see a lot of it today because we have a  
19 very full year. And hopefully that will continue, but for  
20 drought years, it's just something to pay attention to. And  
21 I would love to partner with community and Edison and  
22 whoever to help get rid of that at one point slowly but  
23 surely. Yeah. Thank you.

24 MS. FEFER: Great. Thank you for your comment.  
25 We'd love to see it on the record too. All right. Thank

1 you. All right. So for threatened and endangered species  
2 effects of continued project operation and maintenance  
3 activities on species designated as federally threatened,  
4 endangered proposed or candidates for listing and designated  
5 critical habitat proposed and final under the Endangered  
6 Species Act. I don't have those listed out here, but they  
7 are in scoping document one and the pad. So any additional  
8 impacts to threaten an endangered species?

9 All righty. Recreation resources. Affects  
10 continued project operation and maintenance on recreation  
11 resources and adequacy of existing recreation facilities to  
12 meet current and future recreation demand. Yes, I'll give  
13 you the mic again.

14 MS. WRAGG: Okay. This one's a bit long.  
15 Sorry, I have some notes.

16 MS. FEFER: No worries.

17 MS. WRAGG: I just want to enter it into the  
18 record. My name's Haley Wragg. I'm with Lundy Lake Resort.  
19 I'm certified in wild end resources and forestry, and also  
20 I'm a fourth generation Lundy lover. So it makes me really  
21 happy to see everyone come together to discuss such a  
22 precious and like beloved place, which is Lundy. Lundy Lake  
23 Resort resides on the west end of the lake.

24 So when we took our tour today, and when we look  
25 at the maps, that's the boat launch side. We have a

1     fabulous boat launch there that has lots of public use.  
2     However they're not sufficient public resources to take care  
3     of human waste and trash on that side of the lake. When we  
4     compare the east and west ends of the lake, you'll notice  
5     that there's a large difference.

6                     There's just simply no recreational resources  
7     other than the boat launch. On that side of the lake,  
8     there's no public restrooms no bathroom, no trash to support  
9     the FERC public zone. And when you look at section 5.8.4 in  
10    the pad, I was concerned to see that there was no like  
11    future plans to be able to maintain the existing day use  
12    rate and also address future rates in a post COVID world,  
13    and also with our neighbors in Yosemite throttling the  
14    number of visitors that can come into the park every year.

15                    We're seeing a lot of overflow in neighboring  
16    areas, Bridgeport, Virginia, Lundy June Lake. And so that's  
17    putting a lot of pressure on the existing areas, including  
18    the west end of Lundy Lake. Currently, when the public goes  
19    to use the west side of the lake and use the boat launch,  
20    the nearest public restroom is either one mile west which is  
21    up the road on Lundy Lake Road in the Indian National  
22    Forest, where there is a restroom at the Trailhead or one  
23    mile East which is where the dam is.

24                    And that's just simply unreasonable to ask of  
25    people. And because of that, we're having you know, some

1 issues. Best practice would be to have at a point of  
2 interest like that something between three and 500 feet  
3 away. And that hasn't been happening. The challenges, you  
4 know, that we're seeing here are not like solo just Lundy,  
5 obviously it's not specific to Lundy, but I do feel it's my  
6 duty as the boots on the ground on the west side to just let  
7 you know what's going on and the pressures that we're  
8 feeling.

9 My priority will always be keeping Lundy clean  
10 and open to all and for generations to enjoy it. And that's  
11 why in emergency response responses last year, Lundy Lake  
12 Resort, in partnership with Sierra Septic has been  
13 sponsoring a public use Porta-potty on the west side of the  
14 lake. But that's just financially a burden for us. And not  
15 completely, you know, permanent, so we're just looking for a  
16 sustainable solution here. You know, for years this has  
17 been an issue, but it really came to a peak in 2023.

18 In 2023, we had the 100 year winter, and many  
19 facilities, including Lend Lake Resort, were not able to  
20 open on time, but creators were there and wanting to play,  
21 and because of that, we had significant trespass issues on  
22 private property, not just Edison on private lands, people  
23 breaking into buildings to use restrooms that were not  
24 hooked up to water. Significant human waste along the lake  
25 bed and the edge as well as trash and fishing line.

1                   And as I mentioned, as a community, we came  
2 together, Lundy Lake Resort partnered with Sierra Septic.  
3 In response, I've communicated to Edison, the Forest Service  
4 and Mono County about the issue. And we also have many good  
5 Samaritans and that live in Mono City and Vining that always  
6 make an effort to clean up when they're recreating  
7 responsibly, and we're really grateful to them.

8                   But just personally it's my opinion that like,  
9 ultimately we need a support system to give the day use  
10 recreations an option to do the right thing. And my request  
11 would be during fishing season when that west side of the  
12 lake is open to public access that there could possibly be a  
13 porta-potty sponsored or a pit toilet. I realize that that  
14 might not be realistic, and that is okay.

15                   A porta-potty would be fine. Trash service and  
16 possibly a fishing line recycling tube, which is a new best  
17 practice that I'd actually love to see on both the east and  
18 the west side of the lake. If that's an opportunity. And I  
19 just want to reiterate that while Lundy Lake Resort is  
20 prepared and we do provide services for our resort patrons,  
21 the public use rate that we're seeing, especially within the  
22 FERC public use boundary is spilling over into our  
23 neighboring owners, both under license and under private  
24 ownership.

25                   And anything that we can do would be great. And



1 I really hope that these simple solutions will be earnestly  
2 considered in the licensing process. So thank you so much.

3 MS. FEFER: Great. Thank you. All righty.  
4 Land use and aesthetics. Effects of continued project  
5 operation and maintenance on land use and effects of  
6 continued project operation and maintenance on the aesthetic  
7 quality of the project area. Does anyone have any effects  
8 that they would like to add to land use and aesthetics?

9 All righty. Moving on to cultural and tribal  
10 resources. Effects of continued project operation and  
11 maintenance on historic or archeological resources and  
12 traditional cultural properties that may be eligible for  
13 inclusion in the National Register of historic places or on  
14 other areas or places of religious, cultural and traditional  
15 importance to Indian tribes. Does anyone have any impacts  
16 that they would like to add to cultural and tribal  
17 resources?

18 All right. Socioeconomics. Effects of  
19 continued project operation and flow diversions on  
20 agriculture and other consumptive uses in Mono city.  
21 Effects of any reduction in the amount of water available  
22 for irrigation on agricultural production and pasture land  
23 for livestock in Mono Lake watershed. Any additional  
24 impacts to socioeconomics that you'd like to add?

25 All righty. Environmental justice. Effects of

1 project operation and maintenance of identified  
2 environmental justice communities. Any additional impacts?  
3 All right. So cumulative effects which I'm sure all of you  
4 know, but just as a reminder, it's the impact of the  
5 environment that results from incremental impact of the  
6 action when added to other past, present and reasonably  
7 foreseeable future actions.

8           So we identified that water and aquatic  
9 resources could be cumulatively affected by the continued  
10 operation and maintenance of the laundry project. Does  
11 anyone else think that any other resources should be  
12 included as a potential cumulative effect in SD2? All  
13 right. So with that, that is sort of the end of our sort  
14 of resource issue list that we had in scoping document one.

15

16           Thank you so much for the comments. We'll  
17 definitely take those into consideration. Other sort of  
18 information that we are requesting from you all in your  
19 participation in this process. Section seven of the SD1  
20 that's scoping document one includes a list of the  
21 comprehensive plans on file with the commission that are  
22 relevant to the Lundy project.

23           And as part of scoping, we would request that  
24 agencies review the list and file any new comprehensive  
25 plans that we could add. We also ask that any entity that

1 is not already on the mailing list to be added to the  
2 official mailing list, there are instructions for that in  
3 section eight of SD1. And then of course, any significant  
4 environmental issues that should be addressed in the EA.

5 We appreciate your comments here and would also  
6 super appreciate if you put those on the record as well.  
7 And the way that you would do that, it's not super helpful  
8 that I have a QR code up here, I realize, but I also have  
9 the same QR code as a handout over there. And it just takes  
10 you to fork online for where you can comment. You can also  
11 subscribe using the project number P1390 and then have  
12 anything that goes on the public record come to your email.  
13 And that can all happen in FERC online.

14 And like I said, there's a handout over there  
15 that will give you instructions and I think many of you're  
16 probably pretty versed in it, but you're first scoping  
17 comments, as I've mentioned already are due June 24th. So  
18 just sort of keep that in mind. And then after the scoping  
19 process, we're moving into the study process where we're  
20 sort of putting together what studies SCE will be  
21 conducting to inform this relicense.

22 And so this is just a reminder. I know you've  
23 seen these dates a bunch of times now, but you will have  
24 opportunity to comment on what those studies are going to  
25 look like. You can do study requests that, sorry, SCE will

1 file their proposed study plan in August 6th, and then  
2 you'll have an opportunity to comment on that, including any  
3 study requests.

4           And then SCE will update to a revised study plan  
5 based on those comments, and you'll be able to comment on  
6 that as well. And the study requests are pretty specific.  
7 You know, your comments, go ahead and say whatever you want  
8 in the study requests if you're requesting a new study. We  
9 have some pretty specific asks of you to help us understand  
10 what you're asking for. And so that we can properly do our  
11 analysis. And so I'm just going to read through these and  
12 sort of what those requirements are for our study requests.

13

14           So we ask that you describe the goals and  
15 objectives of each study proposal and the information to be  
16 obtained. If applicable, explain the relevant resource  
17 management goals of the agencies or Indian tribes with  
18 jurisdiction over the resource to be studied. If you as a  
19 requester are not a resource agency, explain any relevant  
20 public interest considerations in regard to the proposed  
21 study.

22           Describe existing information concerning the  
23 subject of the study proposal and the need for additional  
24 information. Explain the nexus between project operations  
25 and effects on the resource to be studied and how the study

1 results would inform the development of license  
2 requirements. And these last two, six and seven seem to  
3 just be the toughest for people.

4           So just pay attention to these and make sure you  
5 get that in there when you file a study request. Explain  
6 how any proposed study methodology is consistent with  
7 general accepted practice. So if you have certain methods  
8 you want us to use, let us know why. And then also describe  
9 considerations of level of effort and cost as applicable and  
10 why the proposed alternative studies would not be sufficient  
11 to meet the stated information.

12           So methods and cost. Don't forget about those  
13 people. Forget about those a lot. And with that that's all  
14 I've got so we can open it up to any more comments or  
15 discussion if you have that or questions. And feel free to  
16 reach out to me. My contact information is on the screen.  
17 Any additional comments or questions?

18           MR. TAYLOR: I have one.

19           MS. FEFER: All righty. We'll get the mic to  
20 you before you start.

21           MR. TAYLOR: Can you hear me? Has wildfire been  
22 considered? In fact, not just the effects, but like  
23 infrastructure? I'm just curious. I didn't see anything  
24 about wildfire.

25           MR. ANDERSON: Could you just state your name?

1                   MR. TAYLOR: Oh, I'm Alan Taylor. I live in  
2 Mono City.

3                   MS. FEFER: Okay. Thank you. It is not in our  
4 SD1, so we will take that into consideration for SD2.

5                   MR. TAYLOR: Yeah. I would think PG and E might  
6 have some information for you.

7                   MS. FEFER: Okay. Thank you.

8                   MR. TAYLOR: Forest Service.

9                   MS. FEFER: Sure. Okay. Thank you. Any other  
10 comments or questions? All righty. Well, seeing none,  
11 just a reminder to make sure you've signed in if you haven't  
12 already. And just thanks so much for being here and if  
13 you're able to make it to the site visit, thanks for  
14 spending the whole day with us. Yeah, that's all I got.

15                   MR. SIDIBE: Thanks Jess.

16                   (Whereupon the above proceedings concluded at  
17 2:47 p.m.)

18

19

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding  
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the  
5 Matter of:

6 Name of Proceeding:

7 Lundy Project

8

9

10

11

12

13

14

15 Project No.: P-1390

16 Place: Lee Vining, CA

17 Date: Wednesday, May 15, 2024

18 was held as herein appears, and that this is the original  
19 transcript thereof for the file of the Federal Energy  
20 Regulatory Commission, and is a full correct transcription  
21 of the proceedings.

22

23

24

Bala Chandran

25

Official Reporter







Document Content(s)

051424Lundy.docx.....	1
051424Lundy.txt.....	35
051524Scoping.docx.....	70
051524Scoping.txt.....	103
Errata Form.doc.....	137